

0001

NORTHWEST ARTIC SUBSISTENCE
REGIONAL ADVISORY COUNCIL

PUBLIC MEETING

VOLUME II

NORTHWEST ARCTIC HERITAGE CENTER
Kotzebue, Alaska
March 28, 2025

COUNCIL MEMBERS PRESENT:

Thomas Baker, Chair
Tristen Pattee
Michael Kramer
Clyde Ramoth, Sr.
Elmer Armstrong, Jr.
Verne Cleveland, Sr.

Regional Council Coordinator, Lisa Hutchinson

Recorded and transcribed by:

Lighthouse Integrated Services Corp
877-261-2495
Info.@lighthouseonline.com

P R O C E E D I N G S

(Kotzebue, Alaska - 3/28/25)

(On record)

CHAIRPERSON BAKER: All right, good morning, everyone. It is now 9 a.m. We are here in the Northwest Arctic Heritage Center for the second day of the Northwest Arctic Subsistence Regional Advisory Council winter meeting. This is Chair Thomas Baker. I'm going to go ahead and bring us back in. So, we will pick up where we left off. I'd just like to go through a quick welcome and introductions. Just so that we know who we have in the room, I'd like to ask one person from each organization, as I call them up, to come up to the table, introduce your team that's here, and then we'll go through folks in the room. So, we'll start with Office of Subsistence Management.

DR. VICKERS: Good morning, again. Brent Vickers, Office Subsistence Management, Here with Hannah Voorhees, Tom Plank and also Lisa Hutchinson, Subsistence Coordinator. Thank you.

CHAIRPERSON BAKER: Thank you, and anyone from OSM on the phone?

MR. FOLEY: Morning, Chairman Baker, members of the Council. This is Kevin Foley, Fisheries Biologist. Great to hear everyone's voices. Thank you. OSM.

DR. ROBERTS: Good morning, everyone. This is Jason Roberts, anthropologist at OSM.

CHAIRPERSON BAKER: Fish and Wildlife Service in the room?

MR. WIESE: (In Native) Wil Wiese, Selawik refuge manager and I'm joined today with -- by Brittany Sweeney assistant manager for Selawik Refuge. Good morning.

CHAIRPERSON BAKER: Thank you. Fish and Wildlife Service on the phone?

(No response)

National Park Service in the room?

0003

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

MS. CARLSON: Good morning. Annie Carlson with Western Arctic National Parklands. With me in the room is Emily Creek, our cultural anthropologist and subsistence coordinator.

CHAIRPERSON BAKER: Thank you. National Park Service on the phone?

MR. FROSTIN: Morning, this is Raime Fronstin, wildlife biologist, Western Arctic.

MS. JOCHUM: Good morning, this is Kim Jochum, Regional Office Subsistence Program.

MR. JOLY: (Indiscernible), this is Kyle Joly, I'm a caribou biologist with the National Park Service.

MR. DOUCET: Morning, this is Bredan Doucet, I'm a archaeologist with Western Arctic.

MS. OKADA: Good morning, this is Marcy Okada, Subsistence Coordinator for Gates of the Arctic National Park and Preserve.

CHAIRPERSON BAKER: Anyone from the Bureau of Land Management in the room?

(No response)

Not seeing anyone. Anyone from the BLM on the phone?

(No response)

We have anyone representing tribes or Alaskan Native corporations in the room?

MR. KIRK: Good morning, this is Robbie Kirk with NANA.

CHAIRPERSON BAKER: Alaska Native corporations on the phone?

(No response)

Anyone from the Alaska Department of Fish and Game in the room?

0004

1 (No response)

2

3 Alaska Department of Fish and Game on
4 the phone?

5

6 MR. HENSLEE: Hey, this is Luke Henslee.
7 I'm the assistant area management biologist for Norton
8 Sound and Kotzebue; I'm based in Nome.

9

10 MS. COLD: Good morning, everyone. This
11 is Helen Cold, the Department of Fish and Game
12 Subsistence in Fairbanks.

13

14 CHAIRPERSON BAKER: We have.....

15

16 (Simultaneous speech)

17

18 MR. SPENCER: Hello, this is - oh.....

19

20 CHAIRPERSON BAKER: Go ahead.

21

22 MR. SPENCER: Excuse me, this is Joe
23 Spencer, fishery biologist in Fairbanks with Fish and
24 Game.

25

26 CHAIRPERSON BAKER: Any other federal
27 agencies in the room or on the phone?

28

29 (No response)

30

31 Any other state agencies in the room?

32

33 (No response)

34

35 Any other state agencies on the phone?

36

37 (No response)

38

39 Anyone else in the room?

40

41 MS. LOOBY: Good morning, this is Caitlin
42 Looby with the University of Alaska Fairbanks, and I'm
43 here with Dr. Todd Brinkman.

44

45 MS. TILLQUIST: Heidi Tillquist with Red
46 Dog. I'm on the Teck project.

47

48 MS. GEORGETTE: And good morning. Susan
49 Georgette, Kotzebue citizen.

50

0005

1 CHAIRPERSON BAKER: All right, we do have
2 a couple members that are excused this morning. Lisa,
3 would you please do a quick roll call?
4

5 MS. HUTCHINSON: Yes, good morning, Chair
6 and members of the Council and all those here in -- at
7 the Northwest Arctic -- Heritage Center, beautiful
8 heritage center, is a beautiful day here and those that
9 are online and also on the radio. I'm going to do the
10 roll call for Council members now for the Northwest
11 Arctic Regional Advisory Council. Karmen Monigold.
12

13 (No response)
14

15 And she told us that she was going to
16 be not available today, so she's excused. Tristen
17 Pattee.
18

19 MS. PATTEE: Here.
20

21 MS. HUTCHINSON: Attamuk Shiedt.
22

23 UNIDENTIFIED: For the record, he is
24 attending the funeral too.
25

26 MS. HUTCHINSON: He might be calling in
27 later, too. He told me so, we'll see if he comes back.
28 Wilbur Howarth.
29

30 (No response)
31

32 I believe Wilbur said he's going to be
33 not available either, attending memorial service. Clyde
34 Ramoth.
35

36 MR. RAMOTH: Here.
37

38 MS. HUTCHINSON: Elmer Armstrong.
39

40 MR. ARMSTRONG: Present.
41

42 MS. HUTCHINSON: Verne Cleveland.
43

44 MR. CLEVELAND: Here.
45

46 MS. HUTCHINSON: Michael Kramer.
47

48 MR. KRAMER: Here.
49

50 MS. HUTCHINSON: And Thomas Baker.

1

2

CHAIRPERSON BAKER: Here.

3

4

5

MS. HUTCHINSON: Yes, Raymond Woods. Okay, present. We do have -- two, three, we do have six present. So, we do have a quorum, thank you.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

CHAIRPERSON BAKER: Thank you for that, Lisa. We do have a quorum this morning. So, we will now go into some housekeeping items, and I'll turn it over to Lisa again.

MS. HUTCHINSON: Yes, good morning, again. So, I announced these yesterday, but I wanted to just -- first of all, for those of us in the room for safety, we do have two emergency exits to pay attention to. One is at the back of the room where we all entered and then you can enter -- exit through the doors out there that you came into, and then here at the -- behind the Council members, there's an exit out that way. Also, for those attending also in person, I know you know that you're all here, but even the Council members, if you could please sign that sheet sometime today, I'd really appreciate it. And if there's anybody that would like to address the Council during the meeting, if you're in the room please fill out one of the blue testifier forms, they're at the back of the table where the sign in sheet is, and then you can hand it to me or one of the other staff members, and I can make sure that Chairman Baker gets alerted to that, and he will call on you when he's -- when is available. For any participants that are on the phone, please remember to mute your phone when you are not speaking. And if you would like to address the Council, reminder, press a star five to raise your hand and we will see that on the line, and I can remind you about that later. And then we -- I'll be able to see that and then we can call on you. We'll see you by your phone number for you to have the opportunity to speak.

And if you're joining on the Teams platform online, you can also speak, raise your hand at kind of -- at the upper right corner, there's a little thing you can raise your hand, and we'll see that you want to be -- say something and we'll call on you when the time is right. The meeting materials for those online that didn't get this yesterday, you can google search for Northwest Arctic Subsistence Regional Advisory Council and then look under the meeting materials and you can find the agenda and most of the documents that have been submitted, or you can also -- the website is

1 www.doi.gov/subsistence/regions/NorthwestArctic or NWA.
2 Anyway, the Chair will also announce the time for tribal
3 and public comments on non-agenda items each morning.
4 So, this morning he will announce that shortly. It'll
5 be an opportunity for those present as well as those
6 participating on the phone or Teams to speak on non-
7 agenda items if you'd wish. And if you would like to
8 submit a comment by email, you can also do by sending
9 that to subsistence at, the @ symbol ios.doi.gov. And
10 just to remind everybody that our meeting is conducted
11 by Robert's Rules of Parliamentary Procedure, which
12 helps us provide structure and maintain order throughout
13 the meeting. And all participants are expected to be
14 courteous and respectful in the interactions as a matter
15 of meeting etiquette. Thank you for allowing me this
16 time, Mr. Chair, and back to you. Thanks.

17
18 CHAIRPERSON BAKER: Thank you for that,
19 Lisa. At this time, I will open the floor for public and
20 tribal comments on non-agenda items. We do this each
21 morning, if there's anyone in the room that was hoping
22 to make a public or tribal comment on a non-agenda item,
23 this is your time.

24
25 (No comments)

26
27 Going once, going twice. There're some
28 smiles, but no one's coming to the microphone. Is there
29 anyone on the phone that was hoping to make public or
30 tribal comment on non-agenda items?

31
32 (No response)

33
34 MS. HUTCHINSON: And again, I'd like to
35 remind anybody that's on the phone, if you -- if you're
36 on your phone, press star five and we'll be able to see
37 if you want to be addressed. Thank you.

38
39 CHAIRPERSON BAKER: And again, anyone on
40 the phone that would like to make a public or tribal
41 comment on non-agenda items, now is your opportunity.

42
43 (No comments)

44
45 It doesn't appear we have anyone. So,
46 we'll move on. Yesterday we finished with our action
47 items, and we will start with reports. Just as everyone
48 is aware, there will be a time limit of 15 minutes unless
49 approved in advance, which nothing was approved in
50 advance. So, we're going to try to stick to 15 minutes

0008

1 per presentation/report today. First, we have any tribal
2 governments that were going to make any reports?

3
4 (No response)

5
6 Any Native organizations that were going
7 to make any reports?

8
9 (No response)

10
11 Next, we have a time-certain for a
12 couple different items. Next on our list is the Alaska
13 Department of Fish and Game, that was going to be 11:00
14 a.m. for Helen Cold. Do we.....

15
16 MS. HUTCHINSON: Helen is online now. She
17 might want to be able to do it.

18
19 CHAIRPERSON BAKER: Helen, would you be
20 able to do the Arctic Beaver Observation Network Study
21 overview now, or would you like to wait for the 11:00
22 a.m. slot?

23
24 MS. COLD: Hey, good morning, Mr. Chair.
25 I'm available now. If folks are ready to hear it, that
26 would be fine.

27
28 CHAIRPERSON BAKER: Is there a
29 presentation accompanying that we would need to put on
30 the screen?

31
32 MS. COLD: There is a presentation.....

33
34 (Simultaneous speech)

35
36 MS. COLD: Oh, go ahead.

37
38 MS. HUTCHINSON: Yeah, if you wanna share
39 your screen that'd be fine, or we can have it here. So,
40 whichever your preference is.

41
42 MS. COLD: Let me see if I can share my
43 screen and then I wouldn't have to say, next slide.

44
45 MS. HUTCHINSON: Okay. So, Tom is hooking
46 up everything so we can see it here.

47
48 MS. COLD: Okay.

49
50

0009

1 MS. HUTCHINSON: So, thank you. Thank
2 you, Helen, for taking this.

3
4 MS. COLD: Yeah, you bet. And let me know
5 when you can see it, because I think I've shared.

6
7 (Pause)

8
9 MS. HUTCHINSON: We're seeing it on our
10 screen, but not quite yet on the thing. So, just give
11 us a second, thank you.

12
13 MS. COLD: No problem.

14
15 (Pause)

16
17 CHAIRPERSON BAKER: All right, we do have
18 it on screen in the room. So, Helen, the floor is yours.

19
20 MS. COLD: Okay, well, thank you, Mr.
21 Chair and members of the Council, for having me today.
22 For the record, my name is Helen Cold, and I work with
23 the Alaska Department of Fish and Game Division of
24 Subsistence in the Fairbanks office. And I coordinate
25 Division of Subsistence research partnerships with
26 communities across the Seward Peninsula, the North --
27 Northwest Arctic and the North Slope. So, today I am
28 going to provide you with some information about a
29 project concerning beavers expanding into the Arctic.
30 It's called the Arctic Beaver Observation Network.

31
32 So, the overarching purpose of this
33 research is to better understand both the ecological and
34 the social impacts of beavers moving into Arctic Alaska.
35 This research is a partnership among some Northwest
36 Arctic communities, some scientists at UAF, including
37 Ken Tape and ADF&G, social scientists including myself,
38 Caroline Brown, who's the research director, and Tim
39 Bembenek. So, UAF is focusing on remote sensing and the
40 ecological impacts of beavers in looking at aerial
41 imagery. Northwest Arctic communities are contributing
42 traditional and local knowledge of beavers and their
43 impacts. And we at Fish and Game Subsistence are working
44 with communities to document and analyze the traditional
45 and local knowledge. This project began in 2021 and is
46 wrapping up next year, and it's being funded by the
47 National Science Foundation.

48
49 So, today I'll focus on the social
50 science aspect of this work and for that, we're

1 collaborating with communities across the range of
2 beaver expansion to try and document indigenous and
3 local knowledge of beaver ecology and the impacts of
4 beaver presence on subsistence resources, travel and
5 access to resources by local residents and Arctic
6 communities in general. And for this round of the
7 research, we are collaborating with the communities of
8 Shungnak, Kotzebue and Noatak.

9
10 We're using a variety of different
11 social science research methods to work with
12 communities. The first of which is ethnographic
13 interviews, where we sit down with folks that both
14 harvest beavers and have a long history of subsistence
15 harvest on the landscape to try and understand beaver
16 life history, including the habitat extent in the area,
17 traditional and contemporary harvests and uses of
18 beavers, beaver abundance in the region, and some of the
19 population trends. Some of the impacts of beaver
20 activity on other subsistence resources and activities,
21 how beavers are interacting with the landscape and other
22 species in the environment, and then just some general
23 observations of environmental change. When we do those
24 interviews there's also a mapping component where we
25 work with the folks we're interviewing to try and make
26 a timeline of expansion. So, by mapping out different
27 dam and lodge sites and how those have expanded across
28 river basins over time. Some of the areas folks might
29 be harvesting beavers, as well as other resources that
30 are being impacted by beavers. And we also conduct what
31 we call participant observation, which is basically
32 getting out with individuals on the landscape in the
33 water to see some of these impacts. So, we will try and
34 get out with folks to see some of the areas where dams
35 and lodges and some of the environmental changes are
36 taking place, and further document those sites with
37 photos and field notes.

38
39 So, the next few slides, I'll go through
40 some of the work that we've done with the three
41 collaborating communities, starting with Shungnak. So,
42 we visited Shungnak in March of 2023 for some
43 ethnographic interviews with mapping. We had planned on
44 visiting again in late 2024, but needed to postpone that
45 trip until this spring, which we're still working to
46 schedule, hopefully in April. And we would also like to
47 go back out and conduct additional ethnographic
48 interviews and participant observation in the fall.

1 So, just a quick overview of some of the
2 information that we've worked with residents in Shungnak
3 to document, they -- out of the three communities being
4 the furthest East and closer to the Interior, have the
5 longest history of beaver presence so, 40-50 years or
6 more but numbers are continuing to increase in the area.
7 Some residents are trapping or hunting them for food or
8 fur. Although some folks indicate that might be taking
9 place less than it has in the past. So, preliminary
10 observations and concerns from some of the folks there
11 include concerns about how more dams are blocking fish
12 passage, especially whitefish and other non-salmon fish.
13 And dams and beaver structures can also obstruct travel
14 in sloughs and other areas that folks are using as
15 natural corridors to access other subsistence resources,
16 so for example, waterfowl hunting can be impacted. There
17 are people that are concerned about water quality and
18 some of the human health concerns associated with beaver
19 presence and others that were indicating that, in
20 particular, some of the interactions with other wildlife
21 on the landscape, moose in particular, seem to like
22 beaver ponds because there's more aquatic vegetation.

23
24 Next, we'll talk about Kotzebue. We
25 visited Kotzebue several times thus far in March of 2023,
26 where we conducted interviews with mapping. In April of
27 2024, we went out with a local trapper across the Baldwin
28 Peninsula and also, snowmachine north of Sisualik, and
29 in August we conducted ethnographic interviews with
30 mapping as well. We also plan to visit again this spring
31 and next fall for final round of interviews, and mapping
32 and participant observation.

33
34 So, as far as beaver concerned, Kotzebue
35 has more recent use practices than Shungnak. Folks are
36 indicating that beavers arrived late 1980s, early 1990s,
37 but that there's been a huge increase in the population
38 over the last 20 years. Some individuals are trapping
39 them and using them for fur and food, but it's not a
40 widespread practice. And a lot of the folks that we did
41 talk to that were currently trapping, they learned from
42 others around Alaska or even out of State, because there
43 hasn't been a long history of local use. Some of the
44 observations and concerns folks had again, changes to
45 local hydrology impacting whitefish and Arctic char in
46 particular, spawning areas and movement of those fish.
47 Concerns about water quality and human health and also,
48 a lot of folks had a desire to -- an interest in learning
49 more about some of the uses that folks from the Interior
50 or other places across Alaska, some of their use

1 patterns, potentially through trapping workshops
2 involving students at the school. There was an interest
3 to do more and learn more.

4
5 Finally, Noatak, we visited Noatak
6 several times. September of 2023, we conducted
7 ethnographic interviews with mapping and also,
8 participant observation. We went out on a river trip in
9 the fall. In April we had a shorter visit where we
10 conducted a community informational meeting and also,
11 spoke with some students at the school. And then in May
12 of last year, we conducted additional ethnographic
13 interviews with mapping and also, got out on the river
14 in the spring for some spring beaver hunting. We plan
15 on revisiting Noatak this spring and next fall for the
16 last round of ethnographic interviews and mapping and
17 participant observation.

18
19 So, out of the three communities, Noatak
20 has the most recent influx of beavers. So, starting about
21 20 years ago, they started spreading widely across the
22 Noatak River basin. That's actually the picture I have
23 here, is something that Ken Tape and his group generated.
24 I don't know the exact year, but it's within the last
25 five years. All those dots are different locations of
26 beaver dams and beaver lodges across the Noatak River
27 basin. There are some folks that trap, very few. More
28 people are involved in, right after break-up in the
29 spring, going out and hunting beavers. Similar to the
30 other communities, some of the biggest concerns folks
31 in Noatak mentioned were fish health and fish migration
32 and spawning. Also, concerns about water quality and
33 human health, and in some cases, access is impacted in
34 the smaller tributaries, but not necessarily the major
35 travel corridors and folks indicated that it really can
36 be seasonally dependent. So, summer travel can be a
37 little bit more challenging, especially considering
38 water levels. Whereas when things freeze over in the
39 winter, it's generally not as big of an issue. Some
40 folks were indicating that beavers can be very
41 tenacious, and they've seen them migrating in action.
42 So, there was one individual that said he found one on
43 a ridge top trying to move to a new basin. And here as
44 well, folks have a desire to learn more about some of
45 the management strategies that could be employed to try
46 and reduce beaver impacts and also, the uses of beavers.

47
48 So, looking at communities overall in
49 this research project, some of these themes are kind of
50 consistent across the region. So, most common seem to

1 be concerns about impacts on fish, specifically non-
2 salmon fish and also human health and water quality.
3 Also, there were individuals that were speaking to some
4 of the ecosystem level changes and how even the things
5 that don't appear to be directly impacted by beavers
6 like fish, play into this story. So, there was one person
7 specifically that talked about how some of these
8 hydrologic changes impacting whitefish spawning in turn
9 could be impacting marine mammal populations for like -
10 - for example, beluga or other animals that would then
11 feed on the fish that were being impacted by beavers.
12 Also, local access to resources can be impeded by beaver
13 structures and some of the associated changes to
14 hydrology. And across the Board a lot of folks are
15 interested in learning more, not only about how to
16 incorporate beavers into local subsistence economies,
17 but how they might be able to manage beavers in their
18 area.

19
20 So, future work and ways to get
21 involved, this is a topic that a lot [sic] people are
22 talking about. One way that people get together is
23 through annual ABON meetings for this project. The last
24 one, I believe, was in February of last year, where
25 local knowledge holder, scientists, different managers
26 can get together and talk about the issue and share
27 ideas and thoughts and strategies. Also, we are planning
28 on pursuing future research that dovetails off of this
29 project by focusing on some of the specific concerns
30 people had, particularly fish and water quality focus.
31 And also, there's potential for other workshops and
32 knowledge sharing events and there are other entities
33 that do have some involvement in managing beavers. So,
34 USDA APHIS has a nuisance beaver management program, and
35 sometimes they will travel and teach tailored management
36 techniques depending upon the region. The Alaska
37 Trappers Association has some great resources online for
38 folks that might be interested in learning more about
39 how to trap beavers and also Fish and Game occasionally
40 they offer beaver trapping workshops, and some of the
41 folks that do that have expressed an interest in
42 traveling to places where there's interest in a
43 workshop, and there might be other workshops and
44 informational sessions in the region kind of -- to be
45 announced as they develop. And that's all I have, thank
46 you so much for your time and I'd be willing to take any
47 questions.

48
49
50

1 CHAIRPERSON BAKER: Thank you for that,
2 Helen. Does anyone from the Council have any questions?
3 Clyde.

4
5 MR. RAMOTH: Clyde Ramoth, Selawik. So,
6 our migration of the (In Native), the beaver that went
7 to Selawik area in the 50s, that migrated from the
8 Athabaskan country. And we learned how to make hats and
9 gloves, and blankets, and seats and whatever. So, now
10 the -- because of climate change there, way up in Coastal
11 country, maybe Robbie Kirk could allude to that. But, I
12 remember getting a call from Point Hope one year,
13 individual asked how to kill a beaver, and I just said
14 the same way you kill a seal. So, the migration from the
15 south of Canada to Indian country to here and now
16 northern. Is there any population studies? Cause there's
17 a lot.

18
19 MS. COLD: Hi, thank you, member Clyde,
20 for that. So, there is a lot of interest, both from Ken
21 and the folks at the university that are looking at
22 aerial imagery and also, us when we're working with
23 communities with subsistence in learning more about how
24 beavers are continuing to move into the Arctic, even
25 past where we know the line of their presence is. So,
26 yeah, I -- that's very interesting to hear a little bit
27 more about Point Hope and if they have been seeing
28 beavers. I know folks have been seeing them in the river
29 basins around Kivalina and farther north. But it seems
30 like it's really only a matter of time before they end
31 up moving into the North Slope. So, we're kind of
32 actively -- we're interested in hearing more from people
33 in those regions as they start seeing beavers. And also,
34 Ken and his team are continually looking at the aerial
35 imagery, because it can be pretty easy to see some of
36 those changes in the hydrology and even the dams and
37 lodges themselves from aerial images. So, I guess, I'd
38 say there's continued interest and people are trying to
39 monitor the situation. But as they move farther north,
40 those kinds of documented sightings of beaver are really
41 important for folks in the region to share.

42
43 CHAIRPERSON BAKER: Verne, did you have
44 something?

45
46 MR. CLEVELAND: Yeah, Vern Cleveland,
47 Noorvik. I grew up in Shungnak and I knew -- I do a lot
48 of hunting on beavers and stuff. But back then, there's
49 hardly any dam. But right now, man, you go up there and
50 everything's all dammed up. The fish can't go in to the

1 lakes, the hunters can't go into the lakes to hunt moose.
2 It's pretty hard to get around cause of these beaver
3 dams. Maybe we ought to put bounty on these beavers or
4 hire some dam busters and start busting up dams on some
5 of these creeks that we hunt. And the fish, sometimes
6 when the fish come out, they're orange color from the -
7 - when they come out from the lakes cause of the beavers
8 dam the creeks and it's -- I don't know if it's healthy
9 or not but, man, if you get a beaver fever, man, it's
10 no good feeling, I tell you that right now. But we gotta
11 do something about these beavers, they're damming
12 everywhere. They start damming up by our camp down here
13 by Noorvik but the water is deep, and they just do some
14 part but they can't dam that water cause it's too deep
15 but it's getting pretty bad. We gotta do something about
16 these beavers or it's just not some -- but we can't do
17 nothing about it but if we do something, we -- someone
18 should do something about it. Do some studies on it or
19 hire some dam busters. Thank you.

20
21 CHAIRPERSON BAKER: Tristen.

22
23 MR. PATTEE: Through, the Chair. Tristen
24 Pattee. I'm getting the same concerns in my community.
25 And of course, I get comments from people in Shungnak,
26 you know, then -- there is a lot of interest in looking
27 at different option [sic] on managing the beavers.
28 You've already mentioned to your -- into your -- in your
29 presentation about the blocking of the moose, you know,
30 the moose hunts and the whitefish, there's a lot of
31 concern about that. Some communities, they pump water
32 from -- they pump surface water rather than groundwater
33 for their drinking. I know it gets treated, but still,
34 there's still that concern. Another concern is the
35 people swimming in the rivers, you know, so they're
36 pretty worried about their health as they're swimming
37 and that concern about the beaver. And then also when
38 they're working on their fish, they -- you know, they
39 pack water straight from the river in order to clean
40 their fish and then there's just a lot of concern about
41 the giardia. Thank you.

42
43 CHAIRPERSON BAKER: Clyde, did you have
44 a follow up?

45
46 MR. RAMOTH: Yeah, thank you for the
47 follow up. Giardia is a big subject, but my younger
48 brother's gonna attend a meeting at Canada about beaver.
49 He attended Alaska meeting about just beaver alone in
50 Fairbanks last year. So, there's a follow up at Canada,

1 but I make a motion or something that we could study --
2 we get more numbers about the giardia, the effects of
3 our fish, the water quality from federal and state
4 agencies if they could put something in writing.

5

6 CHAIRPERSON BAKER: Thank you for that,
7 Clyde. We'll make a note of that. Any - Mike.

8

9 MR. KRAMER: Yeah, through Chair. This
10 is Councilman Kramer. Hi, Helen. I know there's always
11 been a lot of concerns about beaver. You know, I've
12 trapped some with my brother in the past. My brother
13 traps a lot of beaver out of the -- off the peninsula.
14 I know of a couple other beaver trappers within the
15 region. They are having a serious impact, you know, to
16 our -- to the Noatak, Kobuk and Kivalina River. You
17 know, those are the main rivers that deal with salmon,
18 trout -- Noatak trout, Kivalina trout and those are very,
19 very main staple diet to people in these villages. And
20 if these fish are starting, you know, to not be able to
21 get to spawning areas that they used to, they're gonna
22 start declining. And right now is the time to start
23 doing something about it because, you know, our caribou
24 are declining, our moose are declining, sheep are gone,
25 you know, everybody starts to depend on other resources.
26 It's time to start depending on some beavers and -- but
27 they need to look at you know, major trout and salmon
28 streams that Coastal and Kobuk, Noatak, Kivalina that
29 depend on a lot of these fish for daily survival,
30 regardless whether it's spring, summer, or fall or
31 winter. I know a lot of people harvest fish up in the
32 Noatak, same up in the Kivalina, I know they did trout
33 studies. Back in the day when I used to sheep hunt, I
34 went up to a place back behind the (In Native) Mountains
35 that fingers off of the Eli, we ran into a dam there
36 that was probably about 300 yards wide and about 10 feet
37 tall, and I climbed up a stump and the water was level
38 at about 10 feet tall over the regular stream. At that
39 point, we went downstream cause we were trying to find
40 some fish to eat, you know, instead of hot dogs or
41 whatever. But it wasn't until we got about 6-700 yards
42 below the dam where we were able to start seeing
43 grayling, very few char. It was -- it's beginning to
44 really impact a lot of the spawning areas for trout that
45 are dependent on by a lotta [sic] local people. I know
46 that, you know, a lot of people in Noatak are starting
47 to get them. It's -- they're -- it's a constant battle;
48 my brother gets about 50 to 60 of them right back here
49 behind Kotzebue yearly. And it's like he's still not
50 making a dent. You know, he continues to trap them back

1 here and make, you know, try to make a difference, but
2 -- and provide first for his family and to sell. It's
3 beginning to be pretty critical right now. You know,
4 especially with char. I know a lot of people depend on
5 char, dolly varden for their -- you know, year-round
6 sustenance of fish. That's all I have, thank you.

7

8 CHAIRPERSON BAKER: Thank you, Mike.
9 Tristen.

10

11 MR. PATTEE: Thank you, Chair. Tristen
12 Pattee. My aana and, you know, her sisters and a lot of
13 people in the community, they make hats and they make
14 other, you know, mittens and different stuff with beaver
15 and currently, you know, I help my aana order all these
16 furs from Lower 48 from some area down there. And they're
17 up here, they're everywhere. You know, and so I just see
18 it as a -- an opportunity to make some income, you know,
19 you have all these local artists that are making these
20 beautiful fur hats and mittens, you know. So, I -- it's
21 a pretty good opportunity. You know, it's -- maybe
22 someone out there can potentially start a tannery that's
23 local, and then all the local hunters will have somewhere
24 to bring these things and you know, and that could be -
25 - and also a potential educational opportunity to teach
26 people how to cut up and, you know, prepare the fur to
27 be tanned and then, you know, it kind of goes from there.
28 It ripples from there, it's -- then you could watch the
29 person how to make the hats. You know, it kind of extends
30 everything, you know, teaches the younger generation
31 what our culture is and keeps you warm in the winter.

32

33 CHAIRPERSON BAKER: Mike.

34

35 MR. KRAMER: Yeah, it's me again, Kramer.
36 You know, it would be good to start -- you know, I
37 noticed NANA is starting to take part in some biology
38 studies, other things like that throughout the region.
39 I'd like to see NANA start encouraging local young youth
40 that have finished high school and are going to college
41 to start doing some biology, you know, and help them
42 along, trying to get local biologists up here. Because
43 a lot of these youth, you know, they're up and down the
44 rivers, they're at camps, they're, you know, they're out
45 in the wilderness a lot with their families and providing
46 for their families. I think it would be a good step up
47 for NANA and other organizations to try and see if they
48 could put in a biology program to where it would assist
49 students into becoming local biologists. And I think
50 that would really help our region. It would be -- it

00018

1 would also help knowledge; they'd be able to do
2 presentations at schools. It's something that's needed,
3 you know, we need local biologists. And that would be a
4 good step up to start now and to try and get these youth
5 into these biology class [sic] and become biologists.
6 Thank you.

7

8 CHAIRPERSON BAKER: Tristen

9

10 MR. PATTEE: Tristen Pattee. And just to
11 add to that -- and then that kind of helps with the
12 population, you know, so that'd be a pretty good way to
13 do that.

14

15 CHAIRPERSON BAKER: Clyde.

16

17 MR. RAMOTH: Thank you, Mike. So, our
18 local school -- like I said for the record, I serve as
19 the Chair for our local school council, but our drive
20 is to teach our young ones about harvesting, trapping,
21 how to get a trapping license, harvesting the beaver.
22 And another economic part is, what to do with the beaver
23 pelt, what to do with the meat, those kinda things. So,
24 it's a ongoing thing, and I think we could encourage
25 others to bring those knowledge, especially to like Fish
26 Wildlife Service. Thank you.

27

28 CHAIRPERSON BAKER: Any final
29 questions/comments for Helen on this presentation?

30

31 (No response)

32

33 Hearing none. Thank you, Helen. We
34 appreciate that. I'm sure we'll have more questions that
35 we'll send your way as things develop.

36

37 MS. COLD: Thank you, Mr. Chair, members
38 of the Council.

39

40 CHAIRPERSON BAKER: Next on the agenda
41 is the Kotzebue Sound commercial and 2024 subsistence
42 season summary and 2025 outlook. Luke Henslee, are you
43 available?

44

45 MR. HENSLEE: Yes. Hello, can you hear
46 me okay?

47

48 CHAIRPERSON BAKER: Yes, we can. The
49 floor is yours.

50

1 MR. HENSLEE: Great, great, thank you so
2 much for having me here today. I'm gonna give a summary
3 of last season's commercial and subsistence chum salmon
4 fisheries performance and a little bit about what we
5 expect for the upcoming season. Last year we opened
6 commercial fishing periods on July 10th, as in
7 regulation and the last scheduled fishery was conducted
8 on August 8. There were two registered buyers. We began
9 our management, as we typically do with sort of a pretty
10 liberal fishing schedule with eight-hour periods, six
11 days a week. When we saw the catch per unit effort that
12 we would expect was not being met, we began to be more
13 and more conservative as the season progressed. And that
14 culminated in a final fishery opener in the fourth week
15 of the fishery, and we didn't see the CPUE increase as
16 we had hoped and the buyer pulled out on August 8th,
17 which is three weeks before the regulatory closure date
18 of August 31. The commercial harvest was 5,392 chum
19 salmon, which was well below the average harvest. There
20 were 24 permit holders that sold fish, which is, again,
21 well below the average effort we see in the fishery. The
22 price that was paid for chum salmon last year was \$0.60
23 a pound which was \$0.05 less than last year. And we had
24 the lowest ex-vessel value of the fishery since 2002,
25 and that year was driven mainly by a market availability.

26
27 Last year for escapement monitoring our
28 Kobuk River test fish that we've been running for quite
29 a while, we -- was discontinued due to budget cuts.
30 We're currently exploring options to revive that
31 project, but the last several years that it operated,
32 it was really impacted by high waters. And we were pretty
33 skeptical that the test fishery was able to really give
34 us a good indication of the number of fish that were
35 going past that site. The subsistence chum salmon
36 fishery last year also had a lot of difficulties. A lot
37 of that was due to high waters and heavy rain, along
38 with late season sea ice remaining in the area. We kinda
39 got some mixed reports from subsistence users with
40 several, you know, putting in maximum effort and really
41 not getting much. But we did hear a few reports of people
42 that just kinda seemed to be in the right place at the
43 right time, at least around the Kotzebue area, that we're
44 able to get some fish. As far as communities on the
45 river, on the Kobuk and the Noatak, again, it was sort
46 of a mixed report. We heard from several people that
47 they got the fish that they needed. And then we also
48 heard from folks that that high waters were really making
49 it difficult to reach those migrating chum salmon.
50

1 For 2025, this upcoming season, the
2 outlook is normally based on samples that we take at the
3 commercial fishery and the test fishery. We weren't able
4 to get a lot of samples this season --this last season,
5 because there just weren't a lot of fish. We were only
6 able to sample three commercial openers for a total of
7 120 samples. So, we do have age composition of the fish
8 that we sampled in those first few openers, but it's not
9 necessarily a good indication of what that might mean
10 for the upcoming season. We suspect that the -- that
11 those weak runs that we saw last year were probably due
12 to marine impacts on this chum salmon stock. One of the
13 reasons that we suspect that is we also got reports from
14 subsistence harvesters in Savoonga who harvest chum
15 salmon that are genetically very similar to Kotzebue
16 salmon, and they probably even harvest from Kotzebue
17 salmon stocks. And they also told us that they saw very
18 low fish numbers moving past their fish camps. So, we're
19 really hoping that this low season was caused by marine
20 conditions that impacted just one broodstock and
21 hopefully we'll see those numbers rebounding in the near
22 future. As far as the upcoming season we are expecting
23 to probably see depressed numbers again. And we're
24 expecting the commercial harvest to fall within the
25 range of 50,000 to 150,000 chum. We plan to begin
26 management the way that we typically begin in mid-July
27 with openers to test run strength and obviously, this
28 year will be a lot more in-tune to the indications that
29 the run isn't doing as well as we expect so, we'll
30 probably be a lot more likely to get conservative early
31 on. As far as the market this season, we don't have a
32 good handle yet on the number of interested buyers that
33 will be showing up this year. We expect it'll be the
34 same market as last year with two buyers registered to
35 purchase chum salmon. But we have yet to hear final word
36 about that.

37
38 We have plans to expand our research and
39 monitoring efforts for the Kotzebue chum salmon stocks
40 that have been hampered a little bit by recent federal
41 actions. But those plans include ramping up our aerial
42 surveys of the Kobuk and Noatak Rivers, which again have
43 been hampered by high waters in recent years. We'll also
44 be conducting some salmon genetic baseline sampling in
45 headwaters on the Kobuk and the Noatak in attempts to
46 build a more robust genetic baseline for these
47 commercially and -- commercial and subsistence chum
48 salmon stocks. We're also hoping to bolster our
49 commercial catch sampling, which, of course, will be
50 tied to the number of fish that we're able to harvest

1 in the commercial fishery. We're also looking at
2 alternative methods for monitoring chum salmon passage
3 in the Kobuk and Noatak in light of these recent high-
4 water years and test fishing not really giving us the
5 information that we would like to have to manage the
6 fishery. We're exploring options to use sonar on the
7 river systems. Like I said, a lot of those projects that
8 we were hoping to get started this season have been put
9 on hold but we will be keeping a close eye on fishery
10 performance. We'll plan to travel to Kotzebue in the
11 next couple months to conduct a fishery meeting which
12 we did last year as well. As far as subsistence goes,
13 we always really appreciate hearing from folks in the
14 region on how they're doing with their harvest and what
15 kind of observations they have about the river and about
16 the fish. We have several subsistence users that will
17 call in to our office and just kinda give us observations
18 and those are always really helpful. We have Kathy
19 Sherman in our office there in Kotzebue, and a lot of
20 folks like to talk to her and tell her what they're
21 seeing in the fishery and we -- we're constantly calling
22 Kathy and asking, yeah, what she's hearing about what's
23 going on.

24
25 There is an AYK, that's a Arctic Yukon
26 Kuskokwim finfish Board of Fish meeting this fall. I
27 know the Advisory Committee in Kotzebue has a few
28 proposals that they'll be submitting this year, although
29 I don't know if any of them are chum salmon related. If
30 folks on the Council or in the public have specific
31 regulations they'd like to see, I would encourage them
32 to contact their Advisory Committee, there in Kotzebue.
33 The deadline is very close, it's April 10th, for those
34 AYK Board of Fish proposals. And like I said, we really
35 appreciate hearing from the resource users in the
36 region. So, I'll make sure that my contact information
37 is available to the Council to give us a call during the
38 season or anytime you wanna talk about fisheries in
39 Kotzebue. With that, I would be happy to take any
40 questions.

41
42 CHAIRPERSON BAKER: Thank you for your
43 presentation, Luke. Do we have any questions or
44 comments? Mike.

45
46 MR. KRAMER: Yeah, this is Councilman
47 Kramer, through the Chair. I -- you know, it's my
48 concern, I see a serious concern about escapement. And
49 you know, I think that the commercial fisheries need to
50 partner with universities and local tribal organizations

1 to try and see if they could you, know, assist in funding
2 and providing youth to help with these programs and these
3 studies. My -- one of my questions is this kinda stemming
4 from the major die off we had maybe 5, 6, 7 years ago.
5 I know that, you know, a lot of salmon died back then,
6 cause I remember -- I have a cabin up on the Kobuk, and
7 the edges of the river was just coated with dead salmon,
8 I mean, everywhere. You know, you could -- just the
9 stench of rotting salmon were everywhere in the -- in --
10 - one thing I noticed about them is a lot of them still
11 had eggs. I know that when we pulled into Kiana, man,
12 there was, like, millions of salmon there just pulled
13 up right in front of Kiana where there was cold water,
14 but none of them were going upstream. Looked like they
15 made an attempt to, but you know, with the water being
16 so warm, I kinda think it pushed them back to an area
17 around Kiana for them to be in colder water.

18
19 One other thing that I'd like to know
20 and find out and, you know, it would be good to have a
21 study on and partner with some of the state universities
22 and organizations is, you know, the impacts of high
23 water. Does that -- do they spawn in high water creeks
24 and streams -- excuse me -- and when the water goes
25 down, I'm pretty sure it leaves a lot of roe, you know,
26 dried up under the ice as the creeks and stuff fall, and
27 they're -- a lot of them are not submerged in water so
28 that the eggs would be able to hatch. That's one thing
29 I would like to see that should happen is the -- you
30 know, my main concern is escapement. I know they have a
31 old sonar site up on the Noatak, and I know the one on
32 the Kobuk. But that's one of my big concerns, is what
33 kind of impacts are these high waters having on our
34 spawning salmon in the streams? Thank you.

35
36 MR. HENSLEE: Yeah, Councilman Kramer,
37 through the Chair. Thanks for that observation and your
38 questions. And I think you're right that we don't have
39 a good understanding on how these high-water events
40 really impact our stocks and the spawning grounds, but
41 I would suspect that you're correct. There probably are
42 some big impacts to spawning sites with these water
43 events. You get big waters moving debris down the river,
44 it creates a lot of changes to spawning habitat. And
45 then, like you said, when water, you know, goes back to
46 more normal levels, what does that do to the eggs in the
47 winter? I think those are all really good questions.
48 Just you know, inherently it is difficult to sort of
49 observe how these high waters are influencing and
50 impacting salmon stocks because trying to work around

1 those high waters or monitor escapements, either from
2 an airplane or more traditional methods like weirs or
3 towers, it simply complicates everything as I'm sure all
4 of you on the Council know, when you're trying to
5 harvest, or capture, or observe salmon in those
6 conditions. So, I think that's probably a really
7 important aspect of our dynamic environment right now
8 to explore. As far as heating events, in the past and
9 your observations of chum salmon struggling in the river
10 pre-spawn, those are conditions we've heard about from
11 other parts of the State, too and it certainly can have
12 an impact on a stock's ability to return. We suspect
13 that this recent return was low, mainly due to marine
14 conditions. Just sort of because of the extent of the
15 low return. So, it's certainly possible that we're
16 seeing some influences from some warming conditions in
17 the rivers. We believe that most of those impacts are
18 coming from the marine.

19
20 CHAIRPERSON BAKER: Go ahead, Mike.

21
22 MR. KRAMER: Yeah, the other concern I
23 had was, I know that we had one buyer, and they were
24 kinda being picky as to who they were gonna buy salmon
25 from. And that was the only one buyer here and there's
26 people out there fishing, trying to put you know, money
27 in their pockets and it seemed as if -- to me that I
28 would see the discrimination. These buyers need to be
29 reminded that, hey, there's a lot of people here who
30 depend on these commercial fisheries to feed their
31 families throughout the winter. You know, being
32 discriminatory towards other fishermen who are trying
33 to sell their fish when they're in their, you know, in
34 their peak freshness, you know, that needs to be looked
35 at. And, you know, these buyers need to be warned that
36 says, hey, you know, everybody is here trying to make
37 money. Everybody is trying to -- you know, here to try
38 and ensure that the freshest, quality of chum salmon
39 from our region you know, makes it to the buyer and then
40 makes it to the processing plant so, I -- that's very
41 concerning to me and I think that needs to stop. Thank
42 you.

43
44 CHAIRPERSON BAKER: Tristen.

45
46 MR. PATTEE: Thank you. Tristen Pattee.
47 I just had a question, I overheard you briefly talking
48 about the proposal and is there -- would you be able to
49 give an example of what is impacting you that the Council
50 could potentially create a proposal that would help?

1
2 MR. HENSLEE: So, I think our biggest
3 hurdle now is that we're looking for alternative ways
4 to monitor these stocks. Like I said, our traditional
5 methods of test fishing and aerial surveys just haven't
6 been effective, mostly due to river conditions. And so,
7 we're sort of at a place where we're exploring
8 alternative methodologies. And as Councilman -- Council
9 member Kramer mentioned, there was a sonar site on the
10 Noatak in the early 90s, we're kind of looking into
11 options like that. The thing about establishing, you
12 know, a new methodology for monitoring these stocks is
13 that it takes time and money to develop the projects.
14 So, beyond the funding component, it really is just sort
15 of an issue of having the time to sort of develop and
16 explore these different options. So, I think just having
17 the support of the Council to continue exploring these
18 issues. I did see that one of the Priority Information
19 Needs that your Council developed was to monitor more
20 closely the escapement numbers of chum salmon on the
21 Noatak and the Kobuk. And so, just having that language
22 in the Priority Information Needs helps us to sort of
23 go after the support that we need to conduct a lot of
24 these projects. I -- it's -- it sounds kinda trivial,
25 but monitoring a region this big really just takes a lot
26 of people on the ground and you and the communities
27 around Kotzebue, and on the Noatak and the Kobuk are a
28 really good source of firsthand information. So, I --
29 like I mentioned before, we really like to hear your
30 observations in-season. I know -- like I said, it sounds
31 trivial, but it's actually pretty important to have
32 folks that are on the ground looking at the resource,
33 making observations. That actually goes a long way with
34 sort of getting a handle on what's going on in a region
35 so large. So, all that to say, I have a lot of hope for
36 how we'll be able to expand our research and monitoring
37 efforts in the future. And I think just having the
38 support of the Council by having that Priority
39 Information Need available goes a long way.

40
41 CHAIRPERSON BAKER: Mike.

42
43 MR. KRAMER: Yeah, this is Councilman
44 Kramer, through the Chair. I know that the OSM has a
45 FRMP, used to be Karen Hyer and she did all the fisheries
46 studies on the federal side. I think it would be good
47 because it's really impacting our subsistence of chum
48 salmon and local other salmon that we may get here. I
49 think it would be a great partnership with, you know,
50 the FRMP and OSM to try and see if they can help get

1 this funding mainly for escapement, to ensure that
2 there's future subsistence salmon for future subsistence
3 purposes and commercial purposes. And it would benefit
4 both and with these, you know, with these funding, I
5 think it would be a great partnership with UAA, UAF,
6 NANA, and other entities that are willing to pitch in
7 and try and see if we could you know, start monitoring
8 our salmon and involving youth, involving universities
9 and, you know, and other entities to try and see if we
10 can try and get, you know, a good return, good
11 escapement, good spawning. And it would also be very
12 educational for our youth and community. Thank you.

13

14 CHAIRPERSON BAKER: Tristen.

15

16 MR. PATTEE: Yeah, through the Chair,
17 Tristen Pattee. And yeah, just like you mentioned just
18 before with you know, just trying to figure out some
19 type of proposal. And I guess I could propose to the
20 rest of the Council that we do write a letter for support
21 your efforts in what you're doing and everything that
22 you mentioned. So, while we have a quorum today, I would
23 like to propose something like that.

24

25 CHAIRPERSON BAKER: Would you like to
26 make a motion to do that?

27

28 MR. PATTEE: Yes. Tristen Pattee. I moved
29 to create a letter of support to the -- to -- sorry, the
30 Kotzebue Sound commercial and subsistence -- to Luke
31 Henslee, fish -- the Norton Sound and Kotzebue assistant
32 manager.

33

34 CHAIRPERSON BAKER: For clarity, what
35 would you like to support? Is it anything specific.....

36

37 (Simultaneous speech)

38

39 MR. PATTEE: Support the.....

40

41 CHAIRPERSON BAKER:mentioned
42 escapement, just so we have it for the record, for the
43 motion.

44

45 MR. PATTEE: So, the motion is to support
46 the -- their efforts to find alternate ways in order to
47 -- for escapement, in order for them to you know, be
48 able to do their jobs.

49

50

1 CHAIRPERSON BAKER: So, motion made by
2 Tristen. Is there a second?

3
4 MR. KRAMER: Second.

5
6 CHAIRPERSON BAKER: Seconded by Mike. Any
7 discussion so that we can have that on the record, Mike?

8
9 MR. KRAMER: Yeah, I don't know who's our
10 -- who took over Karen's spot at OSM.

11
12 MS. HUTCHINSON: It's Kevin Foley.

13
14 MR. KRAMER: Yeah, it'd be good if he was
15 on the line, so we could you know, speak with him a
16 little bit and see what the possibilities are. Cause,
17 you know, salmon are a very critical part, along with
18 char and other fish to our subsistence resources that
19 we all provide for our families. And I think being in a
20 partnership and maybe working with NANA, other entities
21 and universities to try and see if we could you know,
22 have a statewide program where escapement priorities are
23 you know, taking place. You know, I think it's very
24 unfair that, you know, these trawlers out there can waste
25 salmon and such, and we can't you know, and these are
26 under federal fisheries. I think it would be very helpful
27 if we could you know, come up here, have a pre-meeting
28 before the commercial fishing season, a meeting after
29 the commercial fishing season, and have a lot of local
30 people come in here and try and you know, maybe you guys
31 could come up with some numbers with some escapement,
32 how many fish were harvested and you know, local
33 subsistence could say, hey, you know. Maybe in September
34 or October, you know, after the -- postseason to -- for
35 you guys to gather enough biological studies to ensure
36 that we have future salmon stocks and -- for commercial
37 and subsistence. Mainly subsistence cause -- I think
38 it's not fair that, you know, these trawlers can harvest
39 fish and waste them when your people on the Yukon can't
40 even subsistence fish for their own food. That is not
41 fair, you know, and that is not right. That's my concern
42 as of right now. Thank you.

43
44 CHAIRPERSON BAKER: Thank you, Mike.
45 Kevin, you're on the line, correct? If you are, you have
46 the floor to introduce yourself and talk a little bit
47 about the subject.

48
49 MR. FOLEY: Through the Chair, Council
50 member Kramer, thank you for the opportunity. Yeah, my

1 name is Kevin Foley, and I live in Anchorage with my
2 wife and two wonderful dogs. I've recently been assigned
3 to your RAC as the Fisheries Biologist in the wake of
4 Karen Hyer pursuing amazing endeavors. To your point
5 about research and partnerships, I just wanted to put a
6 plugin for an agenda item that's coming up later in our
7 meeting. That is the Fisheries Resource Monitoring
8 Program, where we will provide you with information on
9 how to pursue research interests, including what we're
10 speaking of here now. Anyway, I just wanted to say hello
11 and share that with you all, and I'm available and on
12 the line and listening intently. Thank you, Mr. Chair.

13
14 CHAIRPERSON BAKER: Thank you for that,
15 Kevin. Any more discussion for this motion to make a
16 letter? Tristen.

17
18 MR. PATTEE: Through the Chair. I just
19 wanna -- Tristen Pattee -- just wanna make sure that we
20 have enough justification for that motion.

21
22 CHAIRPERSON BAKER: OSM some staff, is
23 that sufficient information or would you like some more
24 discussion on that? Just to make sure the body of the
25 intent is there.

26
27 MS. HUTCHINSON: Yes, and I had stepped
28 outside, totally missed it. So, Brent, if you could come
29 in. Thank you.

30
31 DR. VICKERS: Thank you, this is Brent
32 Vickers, OSM. And I'll be honest, well things are going
33 on and when a motion is made that I'm not expecting I
34 kind of get like oh wait, what? But I do have a motion
35 to support a letter to Luke Henslee in support of their
36 efforts to find alternative ways for escapement. This
37 is -- I guess -- and this is why -- I would had some
38 questions. Are you supporting -- a letter supporting
39 their efforts? Are you -- who is this letter going to?

40
41 MR. PATTEE: I totally missed where --
42 who he works for.

43
44 DR. VICKERS: Okay.

45
46 MR. PATTEE: So, and I don't see it, I
47 was looking for.....

48
49 (Simultaneous speech)

50

1 DR. VICKERS: Yeah.

2

3 MR. PATTEE:what's written down
4 here. And so, whatever his -- whoever he works for and
5 to support whoever -- just whoever, yeah, just basically
6 his company or his organization.

7

8 MS. HUTCHINSON: He works for Alaska
9 Department of Fish and Game.

10

11 MR. PATTEE: Yeah, okay. So, then to them
12 with attention to him to be able to support his
13 efforts.....

14

15 DR. VICKERS: Okay, great.

16

17 MR. PATTEE:into the escapement
18 based off of the lack of fish that has been in the area
19 due to the high water and the -- and due to the --
20 because it's such a subsistence need and finding
21 different -- finding alternate ways to be able to count
22 the fish, I think it's very important in order for us
23 to figure out ways to mitigate what's happening in our
24 area, in our waters.

25

26 DR. VICKERS: Great, thank you. And just
27 so I have this firm, you want to write this letter to
28 ADF&G saying we really support this.....

29

30 MR. PATTEE: Let us -- just support their
31 efforts, yeah.

32

33 DR. VICKERS: Great.

34

35 CHAIRPERSON BAKER: Specifically, I
36 think it would be beneficial to say to the Nome
37 Office.....

38

39 DR. VICKERS: Yeah, okay.

40

41 CHAIRPERSON BAKER:and where the
42 Nome Office covers, which is Norton Sound and Kotzebue
43 Sound, just so that we're not sending it to ADF&G in
44 Ketchikan.

45

46 DR. VICKERS: Gotcha, yeah.

47

48 CHAIRPERSON BAKER: Supporting
49 everybody's efforts, but just keeping it localized.

50

1 (Simultaneous speech)

2

3 DR. VICKERS: Lisa can figure the best
4 place for that, I suppose, use a.....

5

6 MS. HUTCHINSON: Yeah, and I guess just
7 wanted to remind that -- for the RAC that the -- this
8 is an -- potential FRMP proposal and so it would often
9 -- so, those proposals often include letters of support
10 from the RAC. So, when the proposal is submitted, is
11 that correct, Brent?

12

13 DR. VICKERS: Yes, and as both Kevin and
14 Lisa just mentioned, is on the agenda. Hanna will be
15 updating that the FRMP, there's been a -- the notice for
16 funding opportunities we call it, just opened a week or
17 two ago and we'll close -- I'm shooting off the top of
18 my head in May, mid-May. So, this is the time for
19 organizations to submit their project proposals. And
20 then it goes in through the cycle for -- a competitive
21 cycle for potential funding. And yes, as Lisa just
22 mentioned, it's very important, one of the -- they have
23 to -- these organizations have to be working with
24 communities essentially, has to be an importance for
25 subsistence and having a letter of support is a great
26 way to bolster the application. I think a letter from
27 support from the Council would be, you know, very nice.

28

29 CHAIRPERSON BAKER: Mike.

30

31 MR. KRAMER: Yeah, the other reason why
32 I'm looking at that is maybe possible -- possibly some
33 funding and some assistance through the FRMP to see if
34 they can, you know, find some funding to try and see if
35 we could get this started. And I think the sooner the
36 better. That way, we start getting our feet in the ground
37 and up the rivers to start monitoring these and you
38 know, we'll start getting some answers after the first
39 several years of monitoring, you know, chum salmon in
40 the Noatak, Kobuk. But, that's one of my concerns, is
41 to see if we can provide some funding for subsistence
42 purposes and also, beneficiary to the commercial. You
43 know, basically it's just returns and escapement, and
44 spawners, you know, spawning habitat and other stuff
45 like that that could be monitored. See if we could pull
46 some funding together through the FRMP, either be
47 emergency or -- you know, cause it's very critical,
48 salmon is very critical to our region. Thank you.

49

50

00030

1 CHAIRPERSON BAKER: Would that be
2 sufficient for justification, Brent?

3
4 DR. VICKERS: Yes, I think that's all
5 good. Thank you.

6
7 CHAIRPERSON BAKER: All right. So, motion
8 made by Tristen, seconded by Mike. All those in favor,
9 please signify.....

10
11 MS. HUTCHINSON: Excuse me. This is Lisa,
12 again, Council Coordinator. We just want to verify who
13 the letter is going to for -- support for FRMP is
14 oftentimes good to also send it to OSM and for the --
15 and also to the Fish and Game. But we need to clarify
16 who we want to send it -- if you do, send it to ADF&G
17 who to send that to in leadership, to the commissioner
18 or -- thank you. Unless, you know.

19
20 MR. PATTEE: Can we send it to all three?
21 Would that be -- you guys tell me.

22
23 CHAIRPERSON BAKER: I think if we -- if
24 staff can just point out what the typical process is of
25 who we should send it to. But basically, the intent is
26 to send this to Luke, to get support for the work that
27 Luke is doing. So, if we could just add in there that
28 we're sending it to Fish and Game, we're sending it to
29 OSM, we're sending it to whoever for this specific
30 project area. Brent

31
32 DR. VICKERS: Thank you. Yeah, I -- Brent
33 Vickers, OSM. I just wanted to say that I think it's a
34 good idea to send it to ADF&G to let them know that
35 you're supporting this and sending it to OSM would be a
36 letter that would accompany a potential proposal if they
37 come out as saying we do support this. We know that they
38 put in a proposal for FRMP funding and we support that
39 project. Not knowing where all funding source is coming,
40 not knowing offhand if they have FRMP -- have plans to
41 put in a proposal for FRMP funding, it's definitely good
42 idea to let his bosses know that you guys like the
43 project. Thank you.

44
45 MS. WESSELS: Mr. Chair.

46
47 MS. HUTCHINSON: Thank you.

48
49 MS. WESSELS: Mr. Chair.

50

1 CHAIRPERSON BAKER: Yes, please go ahead.

2

3 MS. WESSELS: This is Katya Wessels.
4 Sorry, I'm cutting in front of the other person with the
5 hand up. But I just want to say, you know, it can also
6 be a general letter of support sort of to whom it may
7 concern, or maybe two letters, one letter to the ADF&G
8 leadership letting them know that you support this
9 project and a second similar letter. So, just the general
10 support from the Council for the project. So, this way,
11 the person who is doing the project can just have it
12 and, you know, attach it to their applications for
13 funding wherever the source of funding is going to be.
14 Thank you.

15

16 CHAIRPERSON BAKER: Thank you, Katya.
17 Luke, did you have something you wanted to add?

18

19 MR. HENSLEE: Yes, thank you. I just
20 wanted to quickly say that we were working really closely
21 with Karen Hyer to -- mainly to develop that PIN so we
22 could put in for FRMP funding to monitor chum salmon.
23 So, that's -- that was sort of our motivation for
24 bringing that Priority Information Need to the Council.
25 In the last two meetings, I gave sort of background on
26 the motivation for that PIN. And then earlier Council
27 member Pattee asked me sort of specifically what would
28 be most useful from the Council. A lot of times these
29 FRMP projects reviewers like to support and give funding
30 to projects that they, you know, know are going to be
31 effective which is rightfully so. That makes it more
32 difficult for agencies looking for funding to sort of
33 develop, you know, untried and unproven methods. It's
34 often difficult to actually secure funding to sort of
35 develop novel approaches to old problems. So, for
36 example, we -- we're really confident in securing
37 funding from OSM to continue a long-running project.
38 It's more difficult to get their attention and their
39 approval when you submit a proposal that looks to sort
40 of establish novel methodology and sort of do
41 feasibility studies. So, I might recommend that in your
42 letter, you sort of perhaps acknowledge that dynamic
43 conditions in your region are sort of making it necessary
44 for us to pivot from traditional methods and could
45 require some feasibility work to look at different ways
46 that we could effectively monitor these chum salmon
47 populations. Thank you.

48

49 CHAIRPERSON BAKER: Thank you for that,
50 Luke. Any further discussion? Tristen.

1
2 MR. PATTEE: Through the Chair, Tristen.
3 So, okay, thank you. So, we will -- we should be able
4 to add that into the letter everything you said. Right?

5
6 CHAIRPERSON BAKER: Lisa is madly typing
7 away so, yes. Any further discussion? I feel we have
8 good justification, know who it's going to be sent to.
9 So, everything clear for staff?

10
11 MS. HUTCHINSON: I'm getting yes, no
12 nods. Yes, yes, is very clear, thank you. Okay, we can
13 go ahead with the vote, thanks.

14
15 CHAIRPERSON BAKER: All right, all those
16 in favor of submitting these letters of support, please
17 signify by saying, aye.

18
19 IN UNISON: Aye.

20
21 CHAIRPERSON BAKER: And those opposed,
22 same sign.

23
24 (No response)

25
26 With that motion passes, we will get
27 that letter drafted. It is now 10:19 a.m., I'm going to
28 recommend that we take a 15-minute break. When we come
29 back, we will just pick it up with Kevin with his FRMP
30 report on Sheefish Coastal Movement Study. So, it's
31 10:20 a.m., we'll come back at 10:35 a.m.

32
33 (Off record)

34
35 (On record)

36
37 CHAIRPERSON BAKER: All right, thank you
38 everyone, it is now 10:35 a.m. We're going to get back
39 on track. Kevin Fraley, if you are prepared and ready,
40 the floor is yours.

41
42 MR. FRALEY: Thanks, can you guys hear
43 me okay?

44
45 CHAIRPERSON BAKER: Yes, we can.

46
47 MR. FRALEY: All right, I'm gonna try to
48 share my presentation here.

49
50 (Pause)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

Okay, can you guys see that okay?

CHAIRPERSON BAKER: Yes, we can.

MR. FRALEY: Cool, yeah. Well, thanks for letting me present today. Thanks to the Council and the Chair. My name is Kevin Fraley, I'm a fish biologist for the Wildlife Conservation Society, I'm based in Fairbanks. And today I'll be talking about a study looking at sheefish movements in coastal distribution. This was partially funded by the Fisheries Resource Monitoring Program. So, excited to be bringing some results back to the Council, which is guided the Priority Information Needs and that sort of thing for this funding. So, a little bit about my organization, the Wildlife Conservation Society. It's a global nonprofit research organization; the goals are to conserve wild places and wildlife through research and outreach. We have a small office in Fairbanks, a few -- a couple social scientists, a mammal and bird ecologist, I'm the fish biologist, and I've been there for about five years, and we have some other staff as well, but there's offices around the world for our organization, but headquartered in New York.

So, I'll jump into the talk here. So, a little bit of background on this study, the WCS, my organization here has worked with Native Village of Kotzebue, the National Park Service and Fish and Wildlife Service, coordinated with all those partners to do lagoons monitoring out in Cape Krusenstern National Monument, and in other areas in Northwest Alaska there starting in 2012. And so, that usually entails going out each summer, a couple times a summer to check on fish abundance and fish diversity at different lagoons. And throughout this work, we also conducted some interviews of subsistence fishers in 2016 that included Cyrus Harris, Chuck Schaeffer, Johnson Stalker and others and things we were hearing from them. And also, reading about in the Bob Uhlés journals, where the sheefish were becoming maybe more abundant out on the coastal areas, maybe traveling further and further away from the main rivers where they spawn, which is the Kobuk and the Selawik. And so, the, you know, the Northwest Arctic Council had some Priority Information Needs that related to this and so, we put in for an FRMP project. But those main Priority Information Needs back when we put in in 2022, where changes in grayling, dolly varden, and sheefish populations related to climate

1 change and identifying spawning areas, critical habitat
2 and range expansion of whitefish and other species. You
3 know, we know a lot about what the sheefish do in the
4 rivers when they're going up to spawn, but there's a lot
5 less known about what they do along the coast. They show
6 up in these lagoons, subsistence fishers catch them in
7 various coastal communities. But we don't necessarily
8 know, you know, which rivers they're coming from, how
9 far up and down the coast they're going and kind of what
10 their ecology is in that habitat.

11
12 So, that was -- the goal of this
13 project, is to sort of dive into some of those questions.
14 This is -- this picture here shows a sheefish caught in
15 Kotlik Lagoon, which is you know, up around the horn of
16 Cape Krusenstern, you know, a few dozen kilometers up
17 north there. And we regularly would catch sheefish
18 sometimes good size, like this one, you know, as far
19 north as Kotlik Lagoon, which was -- it's kind of outside
20 the known or the published distribution that Fish and
21 Game and the book Fishes of Alaska has shown sheefish
22 being in Northwest Alaska there. So, we thought it'd be
23 a good opportunity to update sort of the coastal
24 distribution of the species too, because it seems like
25 maybe their distribution is changing with warmer waters,
26 longer summer seasons, they're able to go further up and
27 down the coast.

28
29 So, that's the background of the study.
30 I'll go into -- so there's kind of four parts to the
31 study we -- and I think we kind of attacked this from a
32 really cool way. So, we conducted some interviews of
33 Northwest Alaska subsistence fishers around the coast
34 to see where they were seeing sheefish, and also, went
35 through some of the key traditional ecological knowledge
36 literature to see what information was in there that
37 might relate to these sheefish coastal movements. We
38 also looked back through all our data from 20 -- 2012
39 to 2024 of the lagoons monitoring, you know, all the
40 fish that we were catching out in Cape Krusenstern
41 National Monument and other places, and we looked at the
42 Alaska Department of Fish and Game's Anadromous Waters
43 Catalog, which is a database that lists you know, all
44 the anadromous fish, like sheefish that are found in
45 different rivers and lagoons and that sort of thing. You
46 know, it's not complete coverage, but there's a lot of
47 good information in there.

48
49 And then the main study that was funded
50 by the FRMP was using satellite tags on sheefish to look

1 and see where they were going, what water temperatures
2 they were traveling in, and what depths they were diving
3 to. And finally, we looked at otoliths, which are the
4 fish ear bones of different sheefish, to see what
5 habitats they might be using throughout their life. So,
6 I'll explain each of those a little bit more as we go
7 along here. So, for the first part, the interviews of
8 subsistence fishers, we interviewed folks that fished
9 near Kotzebue, Sisaulik or Anigaaq. Sorry if I
10 mispronounced those, it's not -- I'm not the best with
11 the name pronunciations. We went to Kivalina, Point Hope
12 talked to folks in Buckland. Didn't make it down to
13 Shishmaref, but there's some information from some of
14 the TEK literature that shows that the white -- the
15 sheefish are showing up down there. For the TEK
16 literature, we looked through Bob Uhlés' journals. Many
17 of you are familiar with Bob Uhlés who is a subsistence
18 fisherman in Cape Krusenstern Monument there for many
19 years, and he kept these really great journals with lots
20 of ecological observations. And we also looked at these
21 three studies or TEK publications listed there about
22 sort of how people fish, what species are around, that
23 sort of thing. That photo there is from our visit to
24 Point Hope in 2023, where we conducted some of these
25 interviews.

26
27 The other part, part two, was looking
28 at all our fish monitoring data. I won't go into all the
29 places we visited there, but you can see the different
30 years that we visited different lagoons and locations
31 and studied fish. And we looked at the Anadromous Waters
32 Catalog and lagoons and coastal rivers from Wales to
33 Point Lay. The satellite tagging portion. So, we use two
34 different tags as seen on the photo there, one of them
35 was solar powered and the other one was battery powered.
36 The solar powered ones didn't work too great, as you
37 might expect, because the fish spent a lot of time under
38 the ice and it's dark all winter so, the battery powered
39 tags ended up working better, but we wanted to try both
40 for sheefish. They attached to the back of the fish, as
41 you can see on the right-hand photo there. And they will
42 basically ride along with the fish for up to maybe a
43 little over a year, depends on what we set them for.
44 Then they pop up to the surface of the ocean or the
45 river, or wherever the fish is, and they transmit all
46 the data that is collected.

47
48 These are where the -- where we tag some
49 of the fish. So, we tagged one out in Krusenstern Lagoon,
50 we tagged quite a few out in front of Kotzebue there in

1 the ice fishery in April 2023, and we tagged four up in
2 the Upper Kobuk on the spawning grounds in September
3 2023. And then set all their pop-up dates from a few
4 months in the future to a year in the future to gain
5 data and that would get transmitted back to us. There's
6 some photos from some of the work from Kotzebue and the
7 Upper Kobuk that's near (In Native) Creek, I think, or
8 near the Selby River, maybe. That September 2023, the
9 water levels were super high, so it was difficult to
10 catch the sheefish, but we did get a few enough to put
11 our final remaining tags on, and we did a outreach and
12 awareness campaign around the satellite tagging. So, we
13 went on the radio there and Kotzebue, posted lots of
14 flyers, as you can see on the right there, and gave
15 updates periodically to local contacts and subsistence
16 bodies like the Council here.

17
18 And then the final part was this otolith
19 microchemistry, so we collected otoliths, which are the
20 fish ear bones shown on the bottom left there in that
21 photo from 15 sheefish -- 14 sheefish actually from some
22 of the Cape Krusenstern lagoons. And then we collected
23 five from the Kobuk River spawning area and three from
24 Selawik River spawning area, or actually Fish and
25 Wildlife Service did, and we borrowed their otoliths to
26 sort of calibrate our later testing where we were gonna
27 try to assign the river of origin from the fish that
28 were caught out in the lagoons. And basically, this
29 microchemistry technique, you can run a laser across the
30 otolith after it's been ground down and polished. You
31 look at strontium isotopes and you can tell if the fish
32 has been in freshwater, brackish water or marine water
33 throughout the course of its life. Each of those rings
34 that you see on the bottom right photo are basically
35 winters that a sheefish has spent, so you can see what
36 habitat they were in during different years of their
37 life.

38
39 I'll get into some of the results, still
40 a little bit preliminary, but we got some good data
41 here. So, the black stars on this map show places where
42 we talk to subsistence fishers and they confirmed that
43 they had found -- they had caught sheefish in these
44 places. So, you can see all the way north to Cape
45 Thompson. People from Point Hope had been catching
46 sheefish, you know, infrequently, but here and there.
47 Likewise, in Kivalina they show up sometimes, folks we
48 talked to in Buckland, the sheefish come into the river
49 mouth there fairly often. And then the TEK publications
50 that we looked through for the Shishmaref area talked a

1 lot about sheefish that were caught, especially near the
2 Serpentine River, you can see that black star there. The
3 white stars show places where we did lagoons monitoring.
4 So, we were actually out there in the field catching
5 fish and those are places where we collected sheefish,
6 they were observed as well as these are -- there's some
7 data from the Anadromous Waters Catalog, particularly
8 on the Serpentine River here, those white stars that's
9 from ADF&G's data.

10
11 These are where our satellite tagged
12 fish popped up from. We were kind of hoping that some
13 might, you know, be popping up way along the coast, that
14 sort of thing, so we could get information on those
15 coastal movements that we know what happen, that do
16 happen. But pretty much all the fish popped up in Hotham
17 Inlet, Selawik Lake there and a few upriver. So, we had
18 16 tags that popped up, which was a good reporting rate.
19 We put out, I think, 23 tags, and most of the solar
20 powered ones did not pop up, I think we had four or five
21 of those. And then in addition to the 16, there was two
22 tags that were actually -- there were subsistence
23 fishers that caught the fish, and they returned the tag
24 to us for a reward, and we were able to get really good
25 data off that. Here's an example of one of the fish. So,
26 a subsistence fisher in Noorvik, who was doing some
27 under-ice gillnetting for the school there caught one
28 of our satellite tagged fish and was able to mail that
29 to us. We got all the data off it and we sent back a
30 reward to the fisher. Hope to get some information back
31 to him and the community as well.

32
33 Here's an example of the satellite
34 tagging data. This was a fish that was tagged through
35 the sea ice in April 2023, and then this is the one that
36 actually was caught by a subsistence fisher in Kiana in
37 June 2024, so we got really good data from this. The
38 main things to look at are the blue levels. So, that's
39 the temperature that the fish is experiencing, and
40 that's in Celsius. One of the interesting things we found
41 was that some of the sheefish were spending time in
42 temperatures that were below zero degrees Celsius, so
43 that means they were under the sea ice in saline water
44 that can drop down below zero degrees, whereas like in
45 the freshwater and the rivers and lakes, you'll never
46 see temperatures that go below zero degrees Celsius. So,
47 it was interesting to see that they could put up with
48 those sort of really cold temperatures for extended
49 periods. The black data there, that shows diving
50 behavior of the sheefish, and we found that some dove

1 down as far as like 25 meters, which is about 80 feet.
2 We were looking around and talking to Bill Carter with
3 Fish and Wildlife Service about where they might be
4 finding depths that deep, because most of the places are
5 pretty shallow, but maybe near Pike's Spit, this is where
6 some of the fish were going deep, chasing herring and
7 that sort of thing in the winter. So, we're working
8 through more of that data. We have, you know, data
9 similar to this for all the fish that we satellite tagged
10 and that reported back.

11
12 For the otolith microchemistry data, we
13 were able to assign basically the river of origin for
14 fish that were caught out in the lagoon. So, we caught
15 sheefish in Aukulak Lagoon, Krusenstern Lagoon and
16 Kotlik Lagoon, and looked at those otoliths, looked like
17 71% were coming from the Kobuk River, 29% from the
18 Selawik. So, there's fish that are coming from both those
19 populations that end up out in those coastal lagoons.
20 We looked at that green area that's shown on the figure
21 there on the left. That's called the natal region. So,
22 that's basically the water chemistry of where they were
23 born, to be able to tell which river they were coming
24 from. And that top chart up there shows over the course
25 of one fish's life, just an example fish, which habitats
26 it was in. So, the data that's sort of at lower values
27 it was from when the fish was in freshwater. Estuarine
28 is sort of in the middle there between the two gray
29 dashed lines and then when the fish was in a marine
30 environment that's up a little higher there. Those
31 vertical lines show every year, basically, in this
32 particular fish's life, it was a 20-year-old, 20 plus
33 year-old fish. And so, we can get kind of some cool
34 information about what they were doing throughout their
35 life, what habitats they were spending time in. We have
36 that data for 14 fish, maybe a few more, and so we're
37 working through that as well.

38
39 Some of the main conclusions from the
40 study. So, it seems like these satellite tags and the
41 otolith microchemistry are pretty useful tools for
42 studying the sheefish movements and they were really
43 well complemented by the local observations and TEK. The
44 tags -- the fish gave back pretty good reporting rates,
45 with the tags better than many other studies from Alaska,
46 so that was great. And it seems like we can piece
47 together different habitats pretty well, from the
48 otolith microchemistry to see when the fish were in
49 freshwater, brackish water or saltwater. And then, you
50 know, one of the main takeaways was that sheefish from

1 both the Kobuk and the Selawik are traveling the coast
2 and entering those lagoons and river mouths to feed and
3 grow during the summer. Seems like the majority of them
4 are originating from the Kobuk to that northerly
5 direction in Cape Krusenstern, at least the ones that
6 we looked at. We did note that -- so, one of our fish
7 that we tagged was actually trapped in the Krusenstern
8 Lagoon in the Tukarak River all winter and it survived,
9 and it returned back to Hotham Inlet the next spring,
10 which was cool. You know, we know that grayling can live
11 in those river systems, but the conditions under the ice
12 get pretty harsh and so, it was neat to see that a
13 sheefish was able to survive that winter under there and
14 then return back to the main area in Hotham Inlet. And
15 as I talked about, the different water temperatures and
16 depths that they might dive. So, yeah, it seems from the
17 data here, from what we collected from folks and from
18 the TEK publications, that the species appears to have
19 expanded their distribution since the 1990s, where Fish
20 and Game on their species profile map, they show kind
21 of a more limited distribution of the fish along the
22 coast and that's same with the book Fishes of Alaska.
23 Based on what we saw or what we found, it seems that
24 these Kotzebue origin sheefish are now found as far south
25 as Shishmaref and all the way up to Cape Thompson in the
26 north. Obviously, out in the southern and northern edges
27 of that range there's fewer of them. So, this -- a
28 similar study design to this would be useful to examining
29 sheefish movements in the Yukon-Kuskokwim Delta or the
30 Mackenzie River Delta, the sheefish there do similar
31 things.

32
33 That's about it, I won't touch on this
34 too much, but we have some upcoming work in the region
35 that folks might be interested in. Thanks for listening.
36 These are our project partners and contributors, so Fish
37 and Game, University of Alaska Fairbanks, the Native
38 Village of Kotzebue, Fish and Wildlife Service there in
39 Kotzebue, the National Park Service and the Wilderness
40 Society all contributed greatly to these results in
41 different parts of the effort. I have a bigger or a
42 longer presentation coming up in -- on April 28 at the
43 Northwest Arctic Heritage Center there in Kotzebue with
44 this information and more so, please consider checking
45 that out. Hopefully there'll be information about that
46 spread around on social media and the radio. And that's
47 all I have, if you have any questions, you're welcome
48 to ask them to me. Thanks for the opportunity to present
49 today.
50

1
2 CHAIRPERSON BAKER: All right, thank you,
3 Mr. Fraley. Any questions or comments? Clyde.

4
5 MR. RAMOTH: (In Native) So, in
6 scientific terms, how do you spell out sheefish? Because
7 Selawik means a place of whitefish, sheefish, it's s i
8 i, and Bill Carter know here. So, part of my question
9 is that studies that are being done with the sheefish,
10 I know they're sweeter and fatter in the coastal area
11 during the springtime, and when they travel and spawn
12 at the Selawik River, were they get thinner and not so
13 sweet. So, I heard the fact that there's multiple studies
14 being done, are those shared through reports?

15
16 MR. FRALEY: Thanks for your comment,
17 Council member. So, with the -- this particular set of
18 studies that we're working on, we'll be planning to put
19 out a report which will -- we actually, we've provided
20 a report to OSM for the FRMP part of this project. But
21 you know, we -- I plan to have the presentation in
22 Kotzebue, April 28 to go over more of this information.
23 And we certainly plan to, you know, publish, hopefully
24 a scientific article with all the information. Any
25 suggestions that folks have for more outreach, we're
26 really welcome to -- or open to that. If people want us
27 to do presentations or get information out, such as
28 brochures, posters, that sort of thing, just feel free
29 to reach out to me and we can make something happen with
30 that. Be glad to share those.

31
32 CHAIRPERSON BAKER: Mike.

33
34 MR. KRAMER: This is Council member
35 Kramer. I know that in the past, we've pushed Karen Hyer
36 and the FRMP to continue to study sheefish for the long
37 run. You know, now that the salmon fisheries are
38 dwindling and low numbers are returning, people are
39 depending on more sheefish. And we're looking at, you
40 know, possible ways to start conserving sheefish. One
41 other way I think that would be pretty great to be able
42 to monitor where a lot of these fish are coming from
43 during the winter months underneath the ice is, you know,
44 install some small plastic tags, whether they're colored
45 or numbered and, you know, when they're caught, they
46 could go ahead and pull the tag out and then return it.
47 And with a piece of paper that says where it was caught
48 and that would be a lot of good information, cause a lot
49 of the fish that you guys study are under the ice. And
50 that would be very beneficial to understanding where a

1 lot of these fish come from, especially out here in
2 Kotzebue Sound. I know a lot of times people will go out
3 and fish out in front of Crowley tech center throughout
4 different times of the year. Kind of a hit and miss
5 thing, but that would be a very good study to continue.
6 And the reason why I wanted to continue to be studied
7 was because of the big sluff that we had up there in
8 Selawik, on the Selawik River. And I know that the last
9 several years that they were starting to notice a small
10 fluctuation in 11-year-olds spawners, females, you know,
11 they returned back to the Selawik River. But sheefish
12 are very staple of every everyday diet here, a lot of
13 people bring sheefish down to Anchorage to other local
14 people who moved down to Anchorage to fulfill their
15 Iñupiaq food diet.

16
17 I think this study needs to continue for
18 years to come because sheefish are very, how would you
19 say? A temperamental breed of fish. And it takes them
20 11 years to be able to spawn for their first time. And
21 their, you know, their lives are very, how would you say
22 it? I know that sometimes when people would catch them
23 by fish rod and reel and then let them go, and then, you
24 know, that would -- some of them would actually die just
25 from that type of handling. But I think it would be very
26 beneficial to go ahead and continue to study into the
27 future, cause we do only have the largest sheefish stock
28 in the world. And I think it would be good to always
29 keep it healthy, because a lot of people are starting
30 to depend on them when there's no sheefish. And
31 eventually, hopefully, you know, we could get the trout
32 nipped and they start bouncing back and start providing
33 a lot of trout up in the Noatak and Kivalina Rivers to
34 continue to have good stocks. But it been [sic] a very
35 beneficial thing throughout the year when they're under
36 the ice would be, you know, insert some tags near their
37 fin that are just a small plastic one, and you guys can
38 distinguish colors on them for different runs, you know,
39 the Selawik run and the Kobuk run and people catch them
40 and they could bring them to you and say, hey, I got
41 this one in November out in front of Kotzebue, you know,
42 and turn it in and maybe get some kind of a little
43 reward. But it'd be great to know where a lot of these
44 fish are coming from. (Indiscernible).

45
46 MR. FRALEY: Through the Chair, if you -
47 - if it's okay to respond, I'd love to -- yeah, mention
48 something about that.

49
50 CHAIRPERSON BAKER: Yeah, go ahead.

1
2 MR. FRALEY: Yeah, I think that's a very
3 good idea. You know, we don't know much about the harvest
4 impacts maybe for the ice fishery and, maybe the survival
5 of the fish if they're being let go. So, something like
6 that -- the tagging study you mentioned would not be
7 particularly expensive, and you might get some really
8 interesting information, and you could use different
9 tags for different years the fish might be caught and
10 then see how they survive and where they end up. And it
11 would be a really cool way to involve the community. So,
12 I think that's a great idea.

13
14 MR. KRAMER: So, with this satellite
15 tagging you could tell me where the hot spot is right
16 now to fish in the lakes, huh?

17
18 MR. FRALEY: Yeah, well, all our tags
19 have now popped up, but I think everybody knows that the
20 hot spots are just right out in front of town there,
21 right, so.

22
23 MR. KRAMER: Everyone starts going out
24 fishing when the daylight is getting longer and longer.
25 So, thank you.

26
27 CHAIPERSON BAKER: Clyde.

28
29 MR. RAMOTH: Clyde Ramoth, Selawik, for
30 the record. I know for Selawik we really appreciate the
31 hard work that Fish and Wildlife Service does and other
32 agencies about otolith, age of the fish, the -- where
33 they migrate, the health of the fish, the population. I
34 know it's always a concern because Selawik means a place
35 of sheefish, that's how we got our English name. But we
36 got five species of whitefish and wherever we've been -
37 - I was wondering about, that's always a concern about
38 the warmer climate, the spawning areas, all those kinda
39 studies are really important, and when they consult with
40 us, with like TEK it's always good. And the movements
41 because the fact that right now, this time of the year,
42 the fattest and best tasting sheefish is from Kotzebue,
43 but later on it'll be in Selawik Lake, which is a 15-
44 mile-wide by 10-mile-wide long lake. But people from all
45 over the region fish there. But I'm always appreciative
46 about the movement and the coastal concerns that we have
47 for Selawik River area.

48
49 MR. FRALEY: Thanks. Through the Chair,
50 if I might respond to that.

1

2

CHAIRPERSON BAKER: Yes, go ahead.

3

4

MR. FRALEY: You noted the other species of whitefish as well. So, one thing I forgot to mention is that we do have quite a bit of the otolith microchemistry data, also from humpback whitefish, least cisco, some bering cisco, and some other species like herring and grayling too. So, we hope to work through that data and just continue to gather information about what the fish are doing throughout their lives and what habitats they might be using. So, hopefully we can find some interesting things to report back to the community with.

15

16

17

CHAIRPERSON BAKER: Any more questions, comments for Kevin Fraley?

18

19

(No response)

20

21

22

23

24

25

26

27

Doesn't look like we have anything else. So, Mr. Fraley, thank you for your time and we will move on to our next presentation. Since we kind of touched on it through this discussion, we're going to hear from Dr. Michael Carey with an update on research with thawing tundra, rusting rivers, and effects on aquatic ecosystems.

28

29

(Pause)

30

31

Michael Carey. Are you on the line?

32

33

34

35

36

MR. CAREY: Yes, I'm here now. Sorry, I've just -- was listening, I thought I was going after lunch, but I'm.....

37

38

39

40

41

MS. HUTCHINSON: Yeah, sorry, I wanted to apologize. This is Lisa, yes, I apologize. I gave you the wrong information. So, if you're ready, this would be good or we can.....

42

43

(Simultaneous speech)

44

45

46

47

48

MR. CAREY: No, I'm ready to go. I'm sorry, I just had mute on, and took me a minute to get organized, so I would welcome the opportunity. Can I share my screen?

49

50

MS. HUTCHINSON: Great, thank you. Yes, you can.

1
2
3
4
5
6
7
8
9

(Pause)

MR. CAREY: Are you able to see the presentation?

CHAIRPERSON BAKER: Yes, we are. You have the floor.

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

MR. CAREY: Thank you. So, thank you for the introduction. Sorry to be a little clumsy there at the start, but I'm Mike Carey. I'm a research fish biologist at the USGS Alaska Science Center, and I'd like to kinda give an update here on our project on rusting rivers. Where we're trying to understand some of these metal seeps from thawing permafrost. And while I'm giving the presentation I just want to -- there's a lot of people I'll acknowledge as we go through, and some of those are the principal investigators like John O'Donnell with the Park Service, Josh Koch, who's also with USGS, and Brett Poulin, who's with the University of California, Davis. And I'll be talking a lot about permafrost here, so before I get too far, I just wanna talk -- put out the definition of permafrost or the way I'm thinking about it. In that permafrost is any ground that remains below zero degrees Celsius for at least two years straight. So, here on the left, we've got kinda the classic image of permafrost, where we've got that active layer that freezes and thaws each year and then below that we have the permafrost that stays frozen. This particular image has an ice wedge in it, but you don't need ice to have permafrost, you just need any frozen ground. And then the map on the right is showing the probability of near-surface permafrost, and you can see as we move from south to north, as you would expect, we get more near-surface permafrost as we go up. And this work has been primarily happening in Northwest Alaska, which is why I would -- it'd be great to speak with everyone here about it. But the reason that a fish biologist such as myself is talking about permafrost is because permafrost differences can influence rivers and streams. It can alter groundwater flow, river hydrology, the availability of carbon and nutrients, and different permafrost characteristics can kinda influence -- the landscape differences can influence the river scape. You know, when I say permafrost characteristics I'm talking about differences in the soil texture, the amount of ground ice in different places and just the amount of permafrost in different watersheds can have a big effect. As an example, if we look at the figure on the

1 left where you're thinking about water coming off of the
2 landscape and coming into a stream, you can think about
3 water, whether that's precipitation or snow melt running
4 across the surface on that green arrow or infiltrating
5 a little bit, but having a shallow subsurface flow path
6 coming into the stream which would be the brown arrow.
7 And you could contrast that with the image in the middle,
8 where now this particular watershed has a much deeper
9 flow path, so there's some water that's infiltrating
10 even deeper. That could be due to permafrost thickness
11 or differences in extent. But if you compared and
12 contrasted these two, you would imagine you might see
13 differences in stream discharge, you know, the timing
14 and quantity of water coming through, you can see
15 differences in water temperature, and differences in
16 flux of the carbon and nutrients coming in into these
17 systems. So, my group has been working on trying to
18 understand how some of these permafrost characteristics
19 influence streams. And just to give an example, going
20 with temperature, we found some interesting
21 relationships, if we look at the amount of permafrost
22 coverage here on the x axis and then stream temperatures,
23 and this is showing that the more permafrost that we
24 have in a watershed, the temperatures actually in July
25 are warmer in those systems. And the reason for this,
26 we think, is that when there's a lot of permafrost, then
27 the water is kinda staying higher on the surface and not
28 going very deep, where when you have a lot of -- when
29 you have less permafrost and more deeper flow paths
30 coming through, you can see the image on the right.
31 Those deeper flow paths are supposed to be bringing in
32 the colder water. So, when you have less permafrost or
33 deeper infiltration, we get colder temperatures coming
34 into that system. So, is kind of -- an interesting thing
35 is if you think about warming you might think about
36 everything's warming, but if we're getting more, deeper
37 flow paths, we could actually have cooler water coming
38 into these systems. I wanted to use -- bring this example
39 in cause I wanted people to know about some of the water
40 monitoring that we've been doing with -- on National
41 Park lands in a lot of headwater streams and some bigger
42 systems, not a lot of mainstem, but we've been monitoring
43 water temperatures for -- we're almost up on a decade
44 here, in different places. And hopefully that is
45 available in a lot of USGS data releases and should be
46 available through the AKTEMP database.

47
48 The other thing on temperature that
49 we've been thinking about is interac -- is the
50 interaction between changes in permafrost and the range

1 expansion of beavers. I believe there was a speaker
2 earlier that was talking about the ABON project,
3 unfortunately, I missed that talk. But, wanted to
4 mention a little bit about this, where we're looking at
5 the interaction of beavers expanding and how that
6 influences temperature, because when we look at
7 temperature in the beaver ponds and temperatures in some
8 of these streams, we see that the beaver ponds have
9 warmer water in them relative to the mainstem. We're
10 curious what that means for the fish, what that means
11 for the river ecosystem overall. And it's not too hard
12 to imagine, you know, the water that becomes held up in
13 these impoundments, you know, gets warmed up with all
14 of this solar radiation. This arrow is pointing towards
15 one of the temperature loggers that we have.

16
17 Now the other project that we're working
18 on related to beavers, and I was asked to kinda just
19 mention this. It's kind of an aside, but I just wanted
20 to put it out there that we have been looking at some
21 of the beaver impoundments as disease vectors thinking
22 primarily about giardia. And giardia, you know, is
23 routinely higher in Alaska residents than the rest of
24 the United States. And you can get these infections from
25 giardia or other things like cryptosporidium by
26 contaminated drinking water. So, Christina Ahlstrom has
27 been leading this project where we've been out in a lot
28 of the beaver ponds in Northwest Alaska. And you can see
29 the figure on the left here is showing.....

30
31 (Simultaneous speech)

32
33 MR. CAREY: Yes.

34
35 CHAIRPERSON BAKER: This is Chair Baker.
36 Would you mind making it actually full screen? We're
37 having a little bit of difficulty reading it in the room
38 here.

39
40 MR. CAREY: Oh, I'm sorry, which.....

41
42 CHAIRPERSON BAKER: Right.

43
44 MR. CAREY: Go ahead.

45
46 CHAIRPERSON BAKER: We're on the
47 presenters view at the.....

48
49 MR. CAREY: Oh.

50

00047

1 CHAIRPERSON BAKER: If you could make it
2 full screen.

3
4 MR. CAREY: Yes, I'm sorry, that's.....

5
6 CHAIRPERSON BAKER: Just noticed a couple
7 people walking up and squinting at the screen, so.

8
9 MR. CAREY: Yeah, is that better?

10
11 CHAIRPERSON BAKER: No.

12
13 MR. CAREY: Sorry.

14
15 (Pause)

16
17 Any better there?

18
19 (No response)

20
21 I'm gonna stop sharing and start over
22 again.

23
24 MS. SWEENEY: Hi Mike. This is Brittany
25 Sweeney, for the record. Just there's a suggestion in
26 the room here that you might have two monitors or two
27 screens. And so, when you select your screen share, if
28 you share from the other one, we won't see the presenter
29 mode. We'll see the public mode.

30
31 (Simultaneous speech)

32
33 MS. SWEENEY: I don't know if that helps
34 but thank you.

35
36 MR. CAREY: It does, that's exactly what
37 I'm doing wrong.

38
39 (Pause)

40
41 MR. CARTER: Hey, Michael, this is Bill
42 Carter. So, start your presentation before you share
43 your screen. That looks -- oh, that's -- is that the
44 PDF? No. That looks good.

45
46 MR. CAREY: That look better?

47
48 MR. CARTER: Yep, that's it.

49
50

1 MR. CAREY: I apologize for wasting
2 everyone's time.

3
4 CHAIRPERSON BAKER: Not a problem. We can
5 see it pretty good now, so you may continue.

6
7 MR. CAREY: Thank you. Yes, apologies
8 again. So, I think I was just talking about giardia
9 sampling that we've been doing, this has been run by
10 Christina Ahlstrom. And a lot of this is preliminary,
11 but we have discovered giardia in a lot of the ponds and
12 we're trying to understand what that means for those
13 being moved around and chances for people to get sick.
14 So, I just wanted to make sure everybody was aware of
15 this project. But what I really wanted to talk about
16 today -- I'm having a lot of technical difficulties --
17 is the Rustling Rivers Project, and this project got
18 started while we were working on permafrost in general
19 and goes back to some work we were doing in Kobuk Valley
20 in 2017. And when we were there, we were using this
21 small tributary to look at differences in permafrost,
22 and when we came back in 2018, everything had turned
23 orange. And we were kinda surprised by that, but we
24 thought it was just sort of this anomalous event. But
25 in 2019, we were in the Agashashok River and we saw this
26 much bigger plume coming into the North Fork of the
27 Agashashok and we were starting to really think like,
28 oh wow, what could be going on here? And so, we started
29 to write some proposals, get some money to get things
30 figured out, and we were all poised to go back out in
31 2020 but then Covid hit, and we weren't able to do any
32 fieldwork, we weren't able to do any fieldwork in 2021
33 either. But when we returned in 2022, as we were coming
34 into this site it looked like it had been burned, like
35 there had been a Tundra fire. But when we actually got
36 on the ground, we could tell that it was the water that
37 was seeping through here that was killing all the
38 vegetation. And when we measured that water, the pH was
39 down around 2.3, total dissolved solids was super high,
40 and you could see that that -- it was the seep that was
41 killing all of the vegetation. And here are some other
42 spots that we saw, this is -- I don't know, the video
43 is playing, but here is the (In Native) coming into the
44 Alatna. You can see all the water -- impaired water
45 coming down really changing the water quality of this.
46 It's all hazy from forest fires nearby. We can just see
47 all that water quality has completely changed as you go
48 up the watershed, it's just impaired all the way up.

49
50

1 Another example, in the Ignning River,
2 you can see this small tributary coming into the Ignning
3 of Gates of the Arctic. And just all this impaired water
4 is getting dumped into that pristine water. So, we also
5 had all of these observations that we had made, and we
6 started talking to colleagues like Roman Dial, Paddy
7 Sullivan, who also had made some of these observations.
8 We talked to a lot of people with ADF&G, Brendan Scanlon.
9 Joe Spencer, Chelsea Clawson, who's been doing a lot of
10 this work out at Red Dog Mine, where they've been
11 observing this for a long time. And all of a sudden we
12 had this compiled observations of more than 75 streams
13 that range from, you know, Red Dog Mine all the way to
14 the Eastern Brooks Range, you know, spanning over 1,000
15 kilometers. We also started to look at, you know, knowing
16 that some of these things had been out there, but that
17 there had really been this uptick in the number of them
18 recently. And the way we did that was looking at remote
19 sensing. So, we had some ground truth spots in
20 Agashashok, Kugururok and Anaktok Creek, and Carson
21 Baughman here with USGS, used a remote sensing and
22 developed this redness index where he could go out and
23 figure out when these streams became impaired. And you
24 can see there's redness index when it gets above 1.5
25 every -- things become impaired. So, on the Agashashok
26 that matches up right with our figure in 2019 those dots
27 became, you know, it became impaired in 2019, same for
28 the Kugururok, the salmon on the -- or the Anaktok Creek,
29 in -- which is part of the Salmon River drainage, that
30 one is kind of come on and off a couple times over the
31 years that we've observed. So, we've been able to
32 demonstrate that, you know, in a lot of -- we've got
33 this big spatial extent and temporally, things have
34 really started to become more and more impaired across
35 the Brooks Range in the last decade or so.

36
37 And when we got on the ground and
38 started looking at what was in there, we were comparing
39 the unimpaired and impaired and then that seep, which
40 is the red dot, you know, and that red dot here in the
41 top left looking at pH, you can see it's down around
42 2.3. The impaired system is in orange, the pH is much
43 lower range in most places compared to the unimpaired.
44 The amount of sulfates in those systems, we see a really
45 big difference between impaired and the seep, compared
46 to the unimpaired. And sulfate, is gonna become a big
47 part of this presentation here in a second. When we look
48 at the metals, just in general, we see much higher metals
49 in the impaired and at the seep, than we did in the
50 unimpaired system. And a lot of those metals in there,

1 a high percentage of it is iron, which is why we've been
2 calling this the rusting rivers, and you see it really
3 orange in a lot of cases, but there's a lot of other
4 metals in there aluminum, manganese, zinc, selenium,
5 copper, nickel. And a lot of this is fairly toxic to --
6 some of these can be very toxic to fish, for example.
7 So, here's all the metals on the -- across the bottom
8 here, showing those differences between the impaired and
9 unimpaired sites. And then a picture above just showing
10 just, you know, how different those water sample
11 collections can really be. And for me, you know, one of
12 the things that's got me really motivated to you know,
13 kinda do the best science we can here is that when we
14 go back to that original study where we observed this
15 difference in 2017 and 2018, we see big differences in
16 the food web.

17
18 In 2017, there was a lot of dolly varden
19 and slimy sculpin in this small little headwater, a lot
20 of macroinvertebrates, a lot of periphyton biomass. But
21 when we came back in 2018, there were no fish in the
22 system. The macroinvertebrate density had been
23 decimated, and we actually couldn't even really measure
24 the periphyton biomass because of -- there is this orange
25 precipitate on everything. So, it's very concerning as
26 to what the consequences could be. So, we're moving
27 forward on that. And what we think is happening overall,
28 and this goes back to where I started thinking about
29 permafrost is, if you think about water coming off the
30 landscape, and this is in just sort of a unimpaired
31 system, water coming through a shallow flow path. What
32 we think is happening is that when it -- water gets
33 deeper and we get a deeper flow path, and in some
34 watersheds where it's running over pyrite and these
35 exposed sulfide minerals, it's actually lowering the pH.
36 And that lower pH is then allowing all of these metals,
37 including iron, to be transported into these streams,
38 creating these rusting rivers. So, it's a change in the
39 depth of the permafrost and depth of the flow that is
40 making these impaired systems. There's also another
41 process that can happen in the lowlands, where you get
42 deeper flow paths that create anoxic soils, and then
43 there can be a microbial process that moves iron out.
44 And it's the two of these processes that are kinda
45 working in concert to create these rusting rivers.

46
47 And of course, what we're worried about
48 overall is just the impact of the food web, whether
49 that's the direct uptake by fish, bioaccumulation of
50 some of these metals through the food web, or just the

1 loss of habitat like we saw in that small little
2 tributary in the (In Native). And then what does that
3 mean for, you know, drinking water? What is that gonna
4 mean for subsistence fish?

5
6 So, all of these were observations and
7 some of our ideas and conceptual model were put in this
8 recent or I guess it's last spring now paper, kinda
9 demonstrating all of this. And we continue to work on
10 this and hopefully we'll be back out this summer to
11 continue collecting data and trying to understand what
12 is going on. And just to hit on a couple of these
13 briefly, we're trying to understand why different
14 watersheds have impaired water and others don't and
15 trying to map the vulnerability of different areas to
16 this event looking at the different geology underneath.
17 One thing that I'm particularly interested in is trying
18 to understand how these rusting rivers overlap with
19 spawning habitat. And we're just doing sort of a desktop
20 exercise right now to compare areas where we know fish
21 spawn and where we're seeing rusting rivers.

22
23 And then we're working in a number of
24 other spots just to look at the changes in the food webs
25 to kind of expand beyond where we saw this in the (In
26 Native). And one of those places is we're working with
27 -- and collaborating with ADF&G and Lauren Yancy and
28 Jeff Muehlbauer with USGS Co-op Unit in Fairbanks trying
29 to harness a lot of the data that has been collected by
30 ADF&G since the 90s in and around in the Wulik River
31 drainage. We're hoping to compare and contrast the work
32 that's happening there with some of the work that my
33 group is doing, so that we can start understanding some
34 of the consequences in all of these different
35 environments. And I think there could be different
36 effects of this because the rusting rivers has -- you
37 know, some of them has happened recently, some of them
38 have been happening for a while. And then there's just
39 differences in terms of what -- the water is impaired.
40 Some of it it's got a lot of iron in it, some of it's
41 kind of more of a milky white blue, suggesting there's
42 a lot of aluminum. So, there could be differences to the
43 food web based on these different metal compositions
44 that are coming in.

45
46 So, I will end there. Except I'd like
47 to put up an acknowledgement slides of a lot of the
48 funding, a lot of the people that've been helping in the
49 field, and some of our other collaborators that
50 hopefully I mentioned as I was going through there. I

1 will stop there except to thank everyone for their time.
2 Apologize again, for my awkward start with the
3 technology. And if there's time, I'd gladly take any
4 questions. Thank you.

5
6 CHAIRPERSON BAKER: Thank you, Dr. Carey.
7 Mike, you have a question?

8
9 MR. KRAMER: Yeah, this is Council member
10 Kramer. I noticed, you know, from back in the day when
11 I was a teenager, and we used to go down the coast. Cape
12 Blossom was pretty large, the beach was pretty large.
13 Now you get -- there's times where it's barely even
14 passable. Same down by Coffee Point, there's starting
15 to be a lot more exposed mud. So, you're not able to go
16 down the Arctic Circle. You know, Kotzebue is getting
17 closer and closer to being on an island, along with
18 Sisualik. In the past years, I've noticed in some places
19 on the Noatak that had very good plush and lush willows
20 on these little bluffs and stuff, and I've noticed
21 they've all collapsed.

22
23 One other thing I've noticed out on the
24 tundra, you know, when you go back behind Cape Blossom,
25 when it's impassable along the beaches, they're starting
26 to be more and more of those under the Tundra ponds. I
27 know quite a few years ago, a guy was driving his four-
28 wheeler in the dark, and he lost his four-wheeler. Went
29 right into one of those cause it's like a waterbed, and
30 his four-wheeler sunk. He went out there to go try to
31 recover his four-wheeler, but you know, he brought 30
32 feet of rope, and it wasn't even deep enough to find his
33 four-wheeler. Eventually he ended up going out there
34 with about 80 feet of rope and was able to finally snag
35 on to his four-wheeler and pull it up and out of the
36 water, but you know, that the water is so acidic it
37 damaged his four-wheeler.

38
39 I've noticed over the years also, you
40 know trapping with my brother back here in a lot of
41 these ponds, and we put our beaver traps in some of
42 these ponds, and, you know, some of them are, some of
43 our 330 conibears are real rusty, boy after the first
44 week in their set, and you get a beaver and all the rust
45 is gone. The other big thing that we've been having here
46 in Kotzebue is manganese levels in our drinking water
47 and, you know, I know that the city has a new water
48 plant. They're trying to figure out all the bugs. But,
49 you know, there's just not enough -- there's not enough
50 -- they're not providing enough filters for everybody.

1 And I think it would be wise, you know, I mean, cause
2 we get our water from Vortac Lake and Devil Lake. Devil's
3 Lake back behind Kotzebue. They even got it to where
4 they don't allow snowmachines to drive across Devil's
5 Lake anymore due to the fact that there's some particles
6 from the exhaust of snowmachines passing over the ice
7 and depositing them on the top of the ice, and then it
8 goes into the water source.

9
10 I think that, you know, on a yearly
11 basis that either your organization or some other
12 organization, you go out and do random tap water tests
13 from all the communities in northwest Alaska, either on
14 a monthly basis to try and study the consumable water.
15 I know that there was times here in Kotzebue -- I mean,
16 man, it looked like you were taking a bath in a red mud
17 puddle, you know. And this is supposed to be drinkable
18 water. You know, my concern was that we had elders and
19 youth, very young kids that had no idea this water was
20 that color, and they just started drinking it. It's gonna
21 start being very critical as time goes on and global
22 warming. The thawing of permafrost, you know, it's
23 beginning to get pretty critical. And now that you're
24 saying that it's, you know, possibly damaging fishing
25 streams for trout and salmon and other species. I think
26 it be good to continue to fund your program, your
27 studies. And I know that there's a lot of youth programs
28 out there that, you know, you guys could involve youth
29 into your guys' studies or even into collecting water,
30 you know, water samples from different loops here in
31 Kotzebue from kids, you know, go around and just get
32 some samples right out of the tap, random places. But
33 that's my concern is that, you know, it's beginning to
34 -- global warming is very -- beginning to -- very impact
35 [sic] a lot of our ecosystems and our rivers and lakes.
36 Thank you.

37
38 MR. CAREY: Id like, if this okay for me
39 to respond to that, Chair?

40
41 CHAIRPERSON BAKER: Yes, please.

42
43 MR. CAREY: I just want to thank you for
44 all those observations on the changes. I think you're
45 pointing a lot of -- out -- pointed out a lot of
46 differences that are occurring. In terms of the tap
47 water, I think that's, you know, kind of in somebody
48 else's purview. But we're certainly interested in that
49 data and what is, you know, going on and what the
50 implications are for people in the communities. Your

1 idea on involving kids, I just wanted to point out that
2 next week, I was actually hoping to be in Kotzebue, but
3 I'm not able to travel for this. But myself, and Josh
4 Koch, who's a hydrologist here at USGS, will be talking
5 -- speaking with the Acceleration Academy at Kotzebue
6 High School. I believe Jazmine Camp is the organizer of
7 that. I hope I got her name right. But we're trying to
8 do exactly that, is just start talking to some of the
9 kids in the community about the changes that we're
10 observing, and I hadn't really thought about having them
11 collect any samples and kind of won't be able to do it
12 on this trip, but that'd be something we're certainly
13 interested in going forward. So, thank you for all those
14 comments.

15
16 CHAIRPERSON BAKER: Elmer, did you have
17 a comment?

18
19 MR. ARMSTRONG: Yes. You know, the last
20 couple of years we've been getting remnants of typhoons
21 coming up Northwest Alaska and dropping a lot of water
22 in our area. So, with your study, you've been collecting
23 data on metal releases in the water?

24
25 MR. CAREY: Yes, we've been collecting a
26 lot of water samples on primarily park lands looking at
27 just the different constituents in the water and also
28 you know, just looking at the amount of flow, where
29 they're coming from, temperature, trying to monitor all
30 of the different water quality parameters.

31
32 MR. ARMSTRONG: And also, another
33 question, through the Chair. Do we have to make a
34 proposal for him to continue looking for funding, to
35 continue this project for multiple years?

36
37 CHAIRPERSON BAKER: I believe this would
38 be write a letter of support like we did earlier, which
39 if someone would like to make that motion, we could
40 probably do. We would just need to do the justification
41 discussion again and explain why we wanna support that.

42
43 MR. ARMSTRONG: Thank you, Mr. Chair.
44 Elmer Armstrong, Noorvik. I make a motion or proposal
45 to write a letter in support for this research on the
46 water.

47
48 CHAIRPERSON BAKER: Clyde.

49
50

1 MR. RAMOTH: I'll second that motion with
2 a comment for further studies on water temperatures and
3 everything involved with any kind of studies that could
4 back it up. Thank you.

5
6 CHAIRPERSON BAKER: Elmer.

7
8 MR. ARMSTRONG: Okay, just for
9 justification, to collect data that -- for our fish, our
10 water quality, and I don't know, I could probably think
11 of more stuff.

12
13 CHAIRPERSON BAKER: So, motion made by
14 Elmer and seconded by Clyde to draft a letter supporting
15 future studies on aquatic ecosystems, these releases
16 causing rusting rivers, fish studies relating to that.
17 Any further discussion? Does OSM staff with the gray
18 beard wanna come back to the table, in case we need to
19 have a further discussion to make sure we have the body
20 of intent of the -- a letter?

21
22 MS. HUTCHINSON: Yeah, it would be like
23 just a general letter to give to him for support for
24 various projects he applies for. Is that what you would
25 like?

26
27 CHAIRPERSON BAKER: Pertaining to
28 this.....

29
30 MS. HUTCHINSON: Pertaining to this
31 study, okay.

32
33 CHAIRPERSON BAKER:study. So, Mike
34 and then Tristen.

35
36 MR. KRAMER: Yeah, the concerns that I
37 see is pretty much drinking water, you know, Kotzebue
38 we get ours from a couple of ponds back here. Noorvik,
39 gets theirs from the river; Kiana, Selawik, they get
40 theirs from the river. You know, there's a lot of
41 concerns of contaminants to human health you know, and
42 what these levels are. I mean, if you were to look up
43 the most contaminated city in the United States,
44 Kotzebue is number one.

45
46 UNIDENTIFIED: (Indiscernible) number
47 two.

48
49 MR. KRAMER: And you know, it -- in that
50 article, it states that if we're downstream from Red Dog

1 and that's the contamination, it's all wrong. Somebody
2 needs to go to that website or whoever provided that
3 information on that one is making Kotzebue look bad. It
4 says that we were most contaminated city in the United
5 States. Along with another city somewhere down south.
6 But you know, the continuation of permafrost
7 deterioration, the increasing metals and other -- how
8 would you say it? Other contaminants into the water
9 system is beginning to affect a lot of the fish. I think
10 it would be great if you guys could do a continual study
11 where, you know, there's a possibility you guys can use,
12 you know, satellite information as to where rivers are
13 changing, where bluffs are eroding more. You know, cause
14 Kotzebue is gonna become a island within the next, you
15 know, 10 to 20 years. But those kinda monitoring need
16 to be continued, especially when it comes down to water
17 sources, fishery water sources, spawning areas, you
18 know, it's all gonna -- the contamination is gonna all
19 flow down to us, you know, as consumers of water and
20 fish and wildlife. So, I think the continuation of your
21 study is very, very important. Thank you.

22
23 CHAIRPERSON BAKER: Thank you, Mike.
24 Tristen, did you have something?

25
26 MR. PATTEE: I guess, just to -- Tristen
27 Pattee here. Just, I guess, just to respond to Mike's
28 comment. You know, the thing is called the toxic release
29 inventory, and it's just the way it's structured in the
30 wording. There's real -- there's no toxic release or
31 anything that's being flown down here from Red Dog or
32 anything. I can give you some literature and all that,
33 but that's it.

34
35 CHAIRPERSON BAKER: Thank you for that
36 comment on the air and on the record. Any further
37 discussion for this motion to draft a letter of support?
38 To clarify, it would be going to Dr. Michael Carey at
39 USGS. And so, I would ask Dr. Carey, is there anyone
40 else that it would help to send this letter to, of just
41 general support for further study?

42
43 MR. RAMOTH: Just a comment.

44
45 MR. CAREY: Oh, yes, go ahead.

46
47 CHAIRPERSON BAKER: Dr. Carey, go ahead.

48
49 MR. CAREY: Oh, thank you. I think Chris
50 Zimmerman, who's the Alaska Science Center director, the

00057

1 USGS Alaska Science Center director having that letter
2 go to him, I think would be appropriate. I can provide
3 his contact information in addition to mine, if that
4 would be helpful.

5
6 CHAIRPERSON BAKER: If you could put that
7 into the Teams chat so that OSM staff can get it
8 recorded. Clyde.

9
10 MR. RAMOTH: Just a general comment with
11 the Selawik River mudslide that we have upriver and a
12 current one near the village that's about 3 to 5 miles
13 away from the village. I know climate change, global
14 warming is always a issue with the -- there's more
15 studies that could be included with the warmer
16 temperatures in the water and the solar, hotter
17 sunshine, does make a effect with our fish and stuff.
18 Thank you.

19
20 CHAIRPERSON BAKER: Thank you, Clyde. Any
21 further discussion? Mike.

22
23 MR. KRAMER: Yeah, the reason I worry
24 about that contamination of, you know, Kotzebue and they
25 say Red Dog. But, you know, I think that whole article
26 needs to be removed. You know, it's making Kotzebue and
27 Red Dog look bad, as being the most contaminated city
28 in the United States, and I don't think that's right,
29 you know. That's my concern and I think they need to
30 remove that article from that website or whatever it may
31 be, where it's at, cause it's all wrong. Thank you.

32
33 CHAIRPERSON BAKER: Thank you for that,
34 Mike. Any further discussion?

35
36 MR. RAMOTH: (Indiscernible) Call for
37 question.

38
39 CHAIRPERSON BAKER: To be clear staff,
40 do we have adequate discussion, justification and who
41 the letter will be going to? I'm seeing heads nodding,
42 thumbs are up. So, with that, all those in favor, please
43 signify by saying aye.

44
45 IN UNISON: Aye.

46
47 CHAIRPERSON BAKER: And those opposed,
48 same sign.

49
50 (No response)

1
2 Hearing no opposition, the motion passes
3 to draft the letter to support the effects on aquatic
4 ecosystems et. all. Tristen, do you have something?

5
6 (No response)

7
8 Dr. Carey, was there any final comments
9 you were liking to make?

10
11 MR. CAREY: No, I just wanted to thank
12 everybody for their time. And I really appreciate the
13 support and appreciate taking the time to talk about the
14 letter, that was unexpected and greatly appreciated.
15 Thank you.

16
17 CHAIRPERSON BAKER: All right, thank you.
18 Tristen.

19
20 MR. PATTEE: Through the Chair, Tristen
21 Pattee. I just wanted to acknowledge Lauren Yancy and
22 Chelsea Clawson that help with this entire study. We
23 work very closely with the -- they work very closely
24 with my team at Red Dog, with the environmental
25 department. You know, they've -- went through some
26 pretty harsh condition and no matter what they seem to
27 always get their work done, and I've been very, very
28 impressed with their work. And please pass that along
29 to them. Thank you.

30
31 CHAIRPERSON BAKER: Thank you for that.
32 It is now 11:40 a.m. The next item on the agenda is
33 Bureau of Land Management. I don't know if we have anyone
34 on the call that had a report for BLM. If not, we will
35 move right into the U.S. Fish and Wildlife Selawik
36 National Wildlife Refuge report. And once that report
37 and questions, comments are finished, we'll go into
38 lunch.

39
40 (No comments)

41
42 So, hearing no one from BLM at this
43 time, the U.S. Fish and Wildlife Service has the floor.

44
45 MR. WIESE: Thank you, Mr. Chair. Wil
46 Wiese, refuge manager for Selawik Refuge, and I'm joined
47 here by Brittany. Brittany, do you wanna introduce
48 yourself?

1 MS. SWEENEY: Hello, I'm Brittany (In
2 Native) I'm the assistant refuge manager at Selawik
3 Refuge and I've been working here since 2010. Thank you.
4

5 MR. WIESE: Yeah, thanks for the time
6 this morning. It's good to be back up here talking to
7 the RAC, a couple of good days of meeting so far. I
8 printed out an update from Selawik Refuge, I gave to
9 each of you yesterday, it looks like this. It's also
10 online. I won't go through every word in here, I'll go
11 through it pretty quick, and then at the end, if there's
12 questions or anytime, interrupt me. First of all,
13 reminder, Selawik Refuge, that's who I work for. Selawik
14 River area, Kobuk Delta, Tag River, Kougarok River. And
15 we're a wildlife refuge, and we have very clear and
16 distinct purposes. That's conservation of fish and
17 wildlife, ensuring there's clean water and enough water,
18 making sure there's adequate subsistence opportunities,
19 upholding treaty rights, and making sure that our
20 wilderness and wild and scenic river are taken care of.
21 And I bring that up right off the bat, because there's
22 a lot we do and I'm the one responsible for ensuring
23 that we meet those purposes and making the decisions
24 about where we spend our money and our time to try and
25 meet those purposes. And so, it means there's a lot that
26 we can't do, too. And I appreciate being here and being
27 part of this, cause subsistence is a big part of the
28 reason we're here. And I want you all to hold me
29 accountable and us accountable to make sure that we're
30 doing a good job of providing subsistence opportunity.
31 I also want to help you all out, one of the ways that I
32 can help provide subsistence opportunities is to be here
33 as a resource. So, at any time during any of these
34 meetings, you're welcome to call on me and ask questions
35 and I'm happy to try and help with proposals or any
36 anything we can because it is part of my job.
37

38 So, I'll start with sort of some
39 management and permitting updates. First one, OTZ
40 Telecommunications Broadband Internet Project. This
41 project has been in the works for years to put towers
42 out on the landscape that would bring internet to
43 communities. They'd be just bringing internet to
44 communities; two towers would go on Selawik Refuge. I
45 expect that we'll have a decision record out on this
46 project. So, a decision on whether or not to permit it
47 in the next couple of weeks. There's a -- been a full
48 environmental review done, and you can go online and
49 find that environmental review and those documents. The
50 next sort of big permitting development project is the

1 NANA Digital Broadband Network Project. This one is
2 relatively new. It'd be a fiber optic cable network
3 connecting Kotzebue to other communities. Fiber optic
4 cables will be laid both over the surface of the Tundra
5 aerially, so poles to cross rivers. Also, on the floor
6 of the water beds in places. I don't have a lot of
7 details on exactly what this project will look like,
8 because I have not received an official application yet.
9 I expect that there might be one in my email box right
10 now. Expect any day to get an official application to
11 have more information. But this is kind of a big project,
12 700 and some miles of cable in the region, a lot of it
13 on Selawik Refuge. And I'll be spending a lot of time,
14 I'm sure, in the coming year really evaluating this
15 proposal and making decisions about how it affects our
16 purposes.

17
18 Talked a little about guided hunting and
19 air transfers yesterday, so I'm gonna skip over that,
20 and go to competitive races. So, any sort of competitive
21 races or things that make money on the Refuge, I'm
22 required by law to issue a permit for so, the Kobuk 440
23 is coming up, Archie Ferguson/Willie Goodwin,
24 snowmachine race coming up. I issue permits for those
25 races to go across Refuge lands. This year a change was
26 the Iron Dog came to us to see about changing the race
27 route for 2026. So, right now, the race route goes
28 through the borders of Selawik Wildlife Refuge, but we
29 worked with the race organizers so that that route is
30 only on NANA lands, private lands, State waterways. So,
31 it's not on Refuge lands. And we worked with them because
32 they came to us wanting to do a route, and we looked at
33 it and we said, you know, we would have to issue a permit
34 if it's on Refuge lands and we're not sure that we can
35 do that, at least at the time. Now they want to formally
36 look at a new route, which would come up from Huslia,
37 up to Shungnak and in the upper Kobuk that way, crossing
38 Refuge lands. We're at the very beginning stages of
39 evaluating that, and I'll be looking again at how that
40 affects all of our purposes.

41
42 Next, on the sort of permitting and
43 management list is the duplex at Selawik Hot Springs,
44 which I'm kinda kidding. There's no plans for a duplex
45 at Selawik Hot Springs, but there are two.....

46
47 MS. SWEENEY: Yeah.

48
49 MR. WIESE:two cabins there.....

1 MS. SWEENEY: Yeah, I just wanted to add
2 on for anybody who's listening on the radio, they can't
3 see the smile on Wil's face as he's saying duplex. So,
4 we're using that term jokingly.

5
6 MR. WIESE: So, there's currently two
7 cabins at Selawik Hot Springs and a bathhouse, and both
8 Huslia and residents in the upper Kobuk have expressed
9 a desire to figure out a long-term solution for that
10 site, and how to make those cabins workable. There's
11 been floodings in past years due to the beaver dams that
12 are on the site. The cabins need repairs, and we're in
13 the beginning stages of figuring out what to do there.
14 And I'm really interested in helping with this, I'm
15 really interested it being a long-term solution and not
16 a patch job kinda thing, where we continuously have to
17 look for new ways to do things. I anticipate heading to
18 the Hot Springs next weekend with some folks from upriver
19 to take a look at things, to kind of assess what kinda
20 long-term ideas might be there, but we're just in the
21 initial stages of thinking about that.

22
23 All right, I'm gonna shift to our
24 biological program a little bit. So, our biological
25 program -- we have a biological program to kinda collect
26 information so that we can make good, sound decisions
27 on management. And our biological staff is Bill Carter,
28 that's it, in Kotzebue. And Bill is a fish biologist.
29 So, we focus a lot on fish as far as the projects we
30 lead in the region. And then we try and support a lot
31 of projects by other researchers from outside on other
32 things. For example, ADF&G does a great job on caribou
33 and moose research, so we provide support to them to do
34 that, we don't do our own like, caribou or moose surveys.
35 First biological project I'll touch on, sheefish. So,
36 we heard from member Ramoth about the thaw slump upriver
37 on Selawik. Data collection occurred last year on
38 sheefish to assess how that thaw slump has affected the
39 sheefish population, and member Kramer spoke to this
40 too. Bill has been working on cutting otoliths, figuring
41 out the ages of fish, doing the data analysis. I'm
42 hopeful that a report on the effects of that thaw slump
43 on sheefish will be out by your next meeting, and we'll
44 be certain to do a presentation when we have it on
45 exactly what we found from all the years of data
46 collection up there. And that's actually led not by us
47 at the Refuge, but by Fish and Wildlife folks out of
48 Fairbanks, Ray Hander, and it's funded through the FRMP
49 process. So, you all can take some of the credit for
50 making sure that we have that information.

1
2 MS. SWEENEY: And this is Brittany. I
3 wanted to say that for all the people who wonder what
4 fish biologists do in the winter, we have a room in the
5 back part of our office where Bill has a grinding machine
6 and a microscope, and he's been back there diligently
7 slicing each one of these fish ear bones and grinding
8 it and putting on a microscope slide. And so, there's a
9 whole process, not the fun part of catching the fish,
10 but then the important part of getting all the
11 information. So, I just wanted to give props to Bill
12 that he's been back there every day grinding away and
13 getting this data. Thank you, Bill.

14
15 MR. WIESE: So, we don't have any big
16 sheefish projects planned for this coming year. We're
17 still kind of working out ways to really monitor sheefish
18 population in the long term, I'd say one thing folks can
19 do is if they notice changes in the sheefish population
20 or distribution, let us know. It's really helpful for
21 us to understand what the people are seeing out there.
22 Next year or this year, we'll really be focusing a lot
23 on other whitefish species. We have sort of three
24 separate studies being planned to look at other
25 whitefish. The first one is just getting some baseline
26 information on spawning areas in Selawik Refuge because
27 we don't have a really comprehensive understanding of
28 where fish are spawning. And Bill will be leading that
29 up and going to some rivers and doing some net surveys
30 to see what's out there. Another -- a second project is
31 kind of part of that -- is -- but really diving deeper
32 into the population structure of (In Native) and (In
33 Native), humpback and broad whitefish out there by
34 starting to collect those ear bones, understanding the
35 age of fish and getting better population model for those
36 fish. And finally, I think one of the ones that we're
37 really excited about is doing what we're calling sort
38 of a whitefish satisfaction survey or something similar
39 in the communities. And we see this as a way that we can
40 get an index of the population health of whitefish and,
41 and Brittany will be involved in this one. But it kind
42 of formalizing a network so that we can have people on
43 the ground monitoring whitefish and letting us know if
44 they start seeing any problem with the population.

45
46 MS. SWEENEY: So, this is Brittany, just
47 to add on, we will be designing that or sort of figuring
48 it out, working with tribes. So, we've spoken to Selawik
49 Tribal Council about this and gotten approval. I'll be
50 speaking with Noorvik at their upcoming meeting next

1 week. And so, we wanna figure it out together with the
2 tribes and the local knowledge holders of what this would
3 look like. Because we know that local people that depend
4 on these fish the most are probably gonna be the first
5 ones to see changes or concerning things and so, if we
6 can work with them as the eyes and ears, it will help
7 the Refuge monitor these fish that we know are really
8 important for food. Thank you.

9
10 MR. WIESE: The last biological project
11 I'll highlight is just our water temperature and
12 discharge monitoring, discharge being how much water is
13 coming down the river. In your packet, there's some links
14 to where you can find water temperature data that we
15 collect. We did work with Noorvik Native Community to
16 put out a water temperature monitor just upstream of
17 Noorvik. So, there's data on water temperature there.
18 These data loggers are small, we go out and pick them
19 up each summer and then upload the data from the last
20 year. So, you can't go in and see day to day what the
21 temperature is, but you can see last year's data. But
22 we are trying to build long-term understanding of what
23 the water temperature is in the rivers.

24
25 MS. SWEENEY: Yes, so member Ramoth.
26 Clyde, you mentioned this to Mr. Carey, you know, during
27 his presentation. But I did wanna point out that at
28 least for the waterways within Selawik Refuge, that the
29 Refuge is collecting this temperature data, and that's
30 ongoing. Thank you.

31
32 MR. WIESE: Finally, a few updates on our
33 outreach program, I'll highlight -- first one I'm gonna
34 highlight is very visible in front of our office down
35 the street. It's our new Refuge sign, and we're really
36 proud of it. It came together as a collaborative design
37 with Norma Ballot and Christina Nelson, who now works
38 here at the Park Service and really drew on elements
39 from the Community of Selawik and from this region, and
40 subsistence elements and colors of the berries that are
41 picked. And we're really proud of it and how that came
42 together, it's just a really good collaboration and
43 kinda tied together a lot of what we do as a Refuge. So,
44 check it out down the street.

45
46 Next outreach priority I'll highlight is
47 our Selawik Science and Culture camp. Member Ramoth
48 mentioned this a couple of times, that's a high priority
49 of ours, and we look forward to doing it with -- in
50 partnership with the tribe in Selawik again this year.

1 And the third one I'll touch on is a booklet that's
2 being developed on muskrats and muskrat trapping in the
3 Selawik area and this is work that Susan Georgette worked
4 on and did lots of interviews with elders to understand
5 the history of muskrats on the Refuge. And it's really
6 interesting work, and it's a lot of work to get that all
7 together into like a real printed book format, and really
8 grateful to Susan for being willing to volunteer her
9 time now that she's retired to work on that and help get
10 it finished. And so, hopefully we'll have a published
11 thing that we can bring back to the community and really
12 show off that work to the community and bring it back
13 to them.

14
15 So, kind of the final thing I'll just
16 talk to you is something Siikauraq talked to you
17 yesterday and that is capacity and sort of all the
18 uncertainty in the federal government right now. Our
19 staff right now is myself, Brittany beside me, Bill
20 Carter, our maintenance professional here in town, Sean
21 Nelson, and Frank Berry, Jr. in Selawik, who does
22 maintenance and is kind of our guide. That's the smallest
23 staff as we've had in a very long time, and we can all
24 see in the news what's going on with the federal
25 government, agencies are being downsized, Fish and
26 Wildlife Service is part of that. So, we don't know
27 exactly what our capacity will be tomorrow, or next month
28 or a year from now. We don't know that, that's an
29 uncertainty of ours. We're committed to continuing to
30 try as hard as we can to fulfill our purposes, and
31 subsistence is one of those purposes. But understand,
32 there are likely things that we're not going to do as
33 much of in this coming year as we have in the past. And
34 again, I'm the one responsible for making those
35 decisions. So, I welcome input on what folks feel like
36 is important and what we really should be working on
37 because we'll do our best. But I do want to acknowledge
38 the reality that it's not going to be everything. So,
39 with that, thank you again, and there's any questions
40 for me, Brittany, Bill, please let us know.

41
42 CHAIRPERSON BAKER: Thank you, Wil and
43 Brittany. First Elmer, then Clyde.

44
45 MR. ARMSTRONG: So, I see that you're
46 collecting data on temperature, contaminants in fish,
47 is water data collection part of this, or can we add
48 that to see if there's -- because we're starting to see
49 -- get more rain, so there's a lot of -- or drainage
50 from high water releasing natural contaminants. Is that

1 part of the data you collect, or do I need to add it in
2 a proposal with all the other surveys you do?

3
4 MR. WIESE: Yeah, thank you for the
5 question, member Armstrong. Currently, we don't, as a
6 Refuge have any plans for a study collecting water
7 samples to look at contaminants in water on the Refuge.
8 There have been some studies like that in the past, and
9 I can provide some of that information. We're also
10 collaborating with researchers who are looking at
11 contaminants in fish, and we're helping collect some
12 fish in Selawik to look at like metal contaminants and
13 that kinda contaminants. They're also collecting fish
14 up in the Kivalina area and are looking at it as good
15 way to kinda compare fish from different areas. But
16 currently nothing specific to water contaminants. I'll
17 say there's also other studies that we've permitted --
18 well, yeah, past studies there have been.

19
20 CHAIRPERSON BAKER: Clyde.

21
22 MR. RAMOTH: Yeah, Clyde Ramoth, Selawik.
23 Thank you, Wil and Brittany. I know as a past employee
24 and part of the answer for member Armstrong from Noorvik
25 question about the water quality, water temperatures. I
26 know -- I remember boating with Randy Brown, the fishery
27 biologist, and we did some water samples and stuff about
28 the algae in the warmer temps with the global warming,
29 now climate change. So, that's how it's in the
30 background, the (In Native) and (In Native). I'm glad
31 to hear there's gonna be more studies on those. The
32 radiation, the warmer temps. I was speaking about the
33 Hot Springs, I remember helping building the most
34 expensive outhouse in Alaska there back in the day. It's
35 good to read -- when I read about Bill Carter
36 (indiscernible) and Ray Hander studies about the
37 otolith, fish, the sheefish, cause we're all affected
38 by that. And to see those studies being shared and always
39 consulting with our tribe is always important, so I just
40 wanted to comment there. Thank you.

41
42 CHAIRPERSON BAKER: Verne.

43
44 MR. CLEVELAND: I helped build those
45 buildings in Hot Springs back when they started building
46 them. But you brought up Iron Dog and going through the
47 park. Can we -- can you put in some permanent stake, not
48 pole, not metal, maybe some permanent stakes going
49 through from Huslia to Hot Springs to Shungnak, Shungnak
50 to the Ambler to Selawik put some permanent stakes in

1 so we won't have to every year put -- take some. If you
2 guys would put permanent stakes to the National Park
3 that would really help out our search and rescue in our
4 area. And bringing up that Iron Dog, I think -- I did
5 hear Iditarod coming through next. Did they hear that
6 right or was that just -- I mean, I heard stories about
7 Iditarod going through the same area, from Huslia and
8 go upriver, then back down. I mean, that would just be
9 hear say. Now that you brought Iron Dog, I think it's
10 gonna happen. Thank you.

11
12 MR. WIESE: Yeah, thank you, member
13 Cleveland. Your question about stakes on the trail, what
14 I'm -- what I can commit to do is working closely with
15 the Borough on figuring out a solution to trail staking
16 within Refuge. Currently, you know, the Borough takes
17 the lead on that. We as Refuge, actually are committed
18 to supporting that and we do that through the work of
19 our employee, Frank Berry, Jr. in Selawik who does a lot
20 of that trail staking out of there. I don't know that I
21 can commit to saying we're gonna put permanent stakes
22 up on the Shungnak, Huslia to set a trail, but I can
23 work with the Borough and work with the local communities
24 and on better solutions.

25
26 CHAIRPERSON BAKER: Clyde.

27
28 MR. RAMOTH: I recall -- member Cleveland
29 and probably Brittany was gonna echo that, but I recall
30 back in the day, Susan Georgette probably had that with
31 the GPS mapping, like with my help, from my dad, my --
32 and others that they put GS mapping that goes all the
33 way to the Hot Springs. That's one avenue they did I
34 know for sure.

35
36 MS. SWEENEY: Yes, thank you. This is
37 Brittany. I just wanted to say Susan did take GPS
38 coordinates throughout the winter trails and the cabins
39 and shared that with the Borough. I wanted to mention,
40 regarding the Hot Springs, and, you know, whatever
41 permits we issue for cabins or structures or however we
42 work with communities there. It was impressed upon me
43 when I started working here that that's an important
44 site for the communities and has been since before it
45 was a Refuge and so, that it's important to maintain
46 that local stewardship, local ownership, and work
47 closely with partners. We don't wanna take it over and
48 have it be like a Refuge facility. We really wanna work
49 with partners so that local communities continue to have
50 those connections. Just like we said that part of our

1 mission is continuing the subsistence use and the
2 relationship with the land. So, I just wanna share that
3 you were involved in building it, and we want people to
4 continue to be involved with it. Thank you.

5

6 CHAIRPERSON BAKER: Elmer, then Vern.

7

8 MR. AMRSTRONG: Thank you. I'd like to
9 make a motion for a proposal to write a letter in support
10 of all the projects they have. Also, to include
11 collecting water data to map out any changes that are
12 happening since we're starting to see more rainfall
13 during summer seasons. Thank you.

14

15 CHAIRPERSON BAKER: So, motion made by
16 Elmer to support studies, it's all on the record. Is
17 there a second?

18

19 MR. RAMOTH: Second.

20

21 CHAIRPERSON BAKER: Seconded by Clyde.
22 Any discussion for justification? Elmer.

23

24 MR. ARMSTRONG: Yes, thank you. For
25 justification, I know it's always good to see the data
26 that they provide and acknowledge the changes that they
27 might see through the data that they collect as we are
28 seeing changes in the climate and that affects the fish,
29 the water quality. Thank you.

30

31 CHAIRPERSON BAKER: Clyde.

32

33 MR. RAMOTH: Yeah, part of that -- Clyde
34 Ramoth, Selawik -- is (In Native). Of course, member
35 Armstrong and Cleveland from Noorvik were all affected
36 by these fish. And doing those studies, I think will
37 really back up like the algae, the warmer temperatures,
38 the -- whatever that might affect with the environment,
39 could definitely go a long way. Thank you.

40

41 CHAIRPERSON BAKER: Any other
42 discussion? Verne.

43

44 MR. CLEVELAND: I'm old school, we put
45 that GPS and sometimes they don't work. You guys see on
46 the Iron Dog that some guys go wrong way, if you have a
47 trail marker, it'd be a lot better than trying to follow
48 GPS. And if it's stormy and they don't work, then you
49 go depend on the trail marker. Cause I know I've been
50 out there, and I've been lost and the only way I got

1 back was found a trail marker and follow it back. But
2 other than that, some of you guys weren't even born when
3 I was building the buildings and Hot Springs so, it's
4 been a long time ago, we need something new out there
5 for them folks. And thank you guys for always helping
6 us out. Thank you.

7

8 CHAIRPERSON BAKER: Discussion for the
9 letter of support.

10

11 MR. CLEVELAND: Question.

12

13 CHAIRPERSON BAKER: The staff have what
14 they need? Thumbs up. Who would we like to send this
15 letter to? Maybe Wil, would you have a recommendation
16 for who would be best to send a copy of this too?

17

18 MR. WIESE: I think you'd send it to the
19 U.S. Fish and Wildlife Service Regional director of
20 Alaska. And yeah, I think that would be fine, I can
21 provide contact information offline.

22

23 CHAIRPERSON BAKER: All right, if Wil
24 could provide that to staff, we will go with that. Seeing
25 no further discussion, all those in favor of drafting
26 this letter, please signify by saying aye.

27

28 IN UNISON: Aye.

29

30 CHAIRPERSON BAKER: Those opposed, same
31 sign.

32

33 (No response)

34

35 CHAIRPERSON BAKER: Seeing no
36 opposition, the motion passes. With that, is there
37 anything else that you or Brittany were hoping to cover,
38 Wil?

39

40 MR. WIESE: Yes, Mr. Chair, there is one
41 thing that I missed, and that is I got caught up in the
42 negative about, you know, the current staffing place
43 we're at. But we are -- we do have approval to hire a
44 couple of interns right now to help with our maintenance
45 division, also to help in our office, and we're targeting
46 young people, ideally somebody from this region. There's
47 information in these packets about how to apply, but
48 people 18 to 30 can apply, and it's a pretty good deal.
49 So, I encourage folks to pass on that information and/or
50 get in contact with us, and we could help you through

1 it. Yes, they are paid, and they do actually provide a
2 housing stipend as well. They're not work-for-free
3 opportunities.

4

5 CHAIRPERSON BAKER: Thank you for that.
6 Tristen, did you have...?

7

8 MR. PATTEE: Yeah, through the Chair,
9 Tristen Pattee. First, I just want to acknowledge to you
10 guys, you know, the -- with such short staff and with
11 all these projects, you know, I commend you, that's --
12 it's -- that's amazing work that you guys do over there.
13 Another thing is you know, I see these -- obviously, we
14 talked about the Selawik, I mean, the Hot Springs place,
15 and that's a very important place to a lot of people in
16 -- not -- in a lot of the communities throughout the
17 region, you know, I just -- I know people from Ambler
18 that just went there yesterday. And so, it's a very
19 important place and it's, you know, issuing these
20 permits, and for the Iron Dog, and Selawik Hot Springs
21 and you know, whatever permits that are needed. Is there
22 some type of support that you can get from the community
23 for you to make those type of decisions in issuing those
24 permits?

25

26 MR. WIESE: Through the Chair. Thank you
27 for the question. It depends on which permits, currently
28 the Iron Dog one we're in the very early stages with
29 that, and I've sent out communications to tribes in the
30 region that are affected for their input and Native
31 Corporations, KIC here in Kotzebue and NANA to provide
32 that kinda consultation information that I need to help
33 make the first round of decisions on that. I'll say that
34 our permitting processes are different depending on the
35 type of activity, and so what I have to look at in order
36 to make a decision is different. That Iron Dog one is a
37 difficult one because it is a new use of Refuge lands,
38 something that we are evaluating for being appropriate
39 and compatible with our purposes. As opposed to
40 something like these development projects, totally
41 different process. As being a right of way for a utility
42 corridor, essentially. Short answer is -- but the
43 specifics of how that goes are varied.

44

45 MR. PATTEE: Through the Chair, Tristen
46 Pattee. So, the NANA broadband and the OTZ project are
47 those new uses, and well if they are, what is their
48 process so that we can know what needs to be done for
49 something like this to happen?

50

1 MR. WIESE: Yes, absolutely. So, those
2 would be considered right of ways for a utility system
3 crossing the Refuge. So, the OTZ broadband project, the
4 two towers project, that one, we're kind of beyond any
5 need for input. We're at the final stages, the -- where
6 decision is going to be issued. That said tribes have a
7 government-to-government relationship with the United
8 States government and can at any time weigh in on these
9 things. But we're kinda past the formal public comment
10 and that kinda thing. The NANA digital project, again,
11 I don't formally have an application that I know of. I
12 do expect today I will actually get it, and that'll kick
13 off sort of the formal process for me to start. And in
14 conversations with the Bureau of Land Management, the
15 National Transportation and other agencies, I'll just
16 say, to start reaching out to tribes, communities and
17 other bodies who are interested in that and interested
18 in providing input. I'd imagine we'll be talking about
19 this again at the RAC meeting in the fall, as well.

20
21 CHAIRPERSON BAKER: Clyde.

22
23 MR. RAMOTH: Yeah, just for the record,
24 Clyde Ramoth, Selawik. Member Pattee for Ambler. The
25 Fish and Wildlife Service did a great job because I
26 served on the Tribal Council for Selawik. They did a
27 good job about consulting with us, about the OTZ towers,
28 the possible effects about radiation, and what else,
29 Wil? I know Brittany, but they're pretty good about
30 consulting with us first prior to even OTZ approaching
31 us. So, we've been -- I wanna say, properly consulted
32 with any kind of environmental impacts that could hurt
33 our birds or human, for the radiation for the towers is
34 one thing. But all those kind of stuff, even just the
35 possible environmental issues that arise, I don't know
36 about Artic but I know Selawik they've been pretty about
37 -- pretty good about checking with us first, consulting.

38
39 CHAIRPERSON BAKER: Thank you, Clyde.
40 Anything else, Wil or Brittany? Brittany.

41
42 MS. SWEENEY: Thank you, Mr. Chair. So,
43 member Pattee, just to give you a little more information
44 on the communication methods that we use. When we have
45 government to government consultation opportunities, we
46 communicate directly to the tribes through letters,
47 emails or calls. But in addition, for many of these,
48 when there's a public comment period, as there was
49 previously for the OTZ towers project, we try to put
50 that out through all of our communication methods,

1 including our Facebook page being one of them, and also,
2 we posted flyers in many places. So, if you are
3 interested in getting updates from us or you have any
4 suggestions about communication methods to ensure people
5 hear about these things when the comments periods
6 happen, I would love to hear any feedback from you. And
7 my email is on this report because that's part of my job
8 is helping to communicate and get the word out. And so,
9 people are aware of things that come around. Thank you.

10
11 CHAIRPERSON BAKER: Verne.

12
13 MR. CLEVELAND: Verne Cleveland. Was
14 there one for the fiber layout throughout our region
15 with NANA? That came out couple month ago, and they're
16 planning to lay out that fiber from here to all the way
17 upriver and go through National Park, did anyone hear
18 about that?

19
20 MR. WIESE: Yes, member Cleveland. I
21 think that is the one we're talking about, the NANA
22 Digital Broadband Project. Yep.

23
24 CHAIRPERSON BAKER: To clarify, you
25 haven't received a permit yet, but you're probably
26 getting one this afternoon.

27
28 MR. WIESE: That's what I've been told
29 is that I should expect a formal application to do that
30 project this afternoon. And that's why I don't have a
31 lot of formal information for the Council on that
32 project, because I need to see the.....

33
34 (Simultaneous speech)

35
36 CHAIRPERSON BAKER: So, we can probably
37 expect to hear about this at the fall RAC meeting.

38
39 MR. WIESE: Yes.

40
41 CHAIRPERSON BAKER: Final questions,
42 comments for Selawik National Wildlife Refuge?

43
44 (No response)

45
46 Hearing none. Thank you for your report.
47 It is now 12:17. We're gonna go ahead and take a lunch
48 break and come back on the air at 1:30. 1:30.

49
50 (Off record)

1

2

(On record)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

CHAIRPERSON BAKER: All right, everyone, is now 1:30. Member Verne Cleveland said he would be a few minutes late and to start without him. So, at this time, we'll move on to the National Park Service report. Annie Carlson, if you're ready, you have the floor.

MS. CARLSON: Good afternoon, this is Annie Carlson. I'm the Resources Program manager with the National Park Service. And with me -- I'll let her introduce herself.

MS. CREEK: Thank you, this is Emily Creek, also with the National Park Service. I am the cultural anthropologist and subsistence coordinator.

MS. CARLSON: So, you'll see on the agenda that for the Park update, our superintendent, Siikauraq Whiting, was scheduled, but she's not available today, so I'll be filling in with the Park agenda. Emily will give an SRC update. But really, for the park lands, our biggest update is that Siikauraq was reinstated as a superintendent this week, which is great news for us, and I'm really glad she was here yesterday and had the chance to kind of reintroduce herself to the Council and share some of her perspective. But a bit about the Western Arctic, we are three different National Park Service units, Kobuk Valley National Park, Noatak National Preserve and Cape Krusenstern National Monument, which is about 9 million acres of land, and our staff is about 20 people. And I'm gonna sort of borrow from my colleagues with Fish and Wildlife Service, I like that they start with their mission. Yes, sir?

MR. RAMOTH: (Indiscernible) Clyde Ramoth, Selawik. How many in law enforcement out of the 20?

MS. CARLSON: Great question. We currently have three employees in what we call RVP or Resource and Visitor Protection, our law enforcement division. The chief ranger, Scott Sample, lives in Fairbanks, but here in Kotzebue, we have a backcountry ranger, Jim Hans. And then we have a district ranger, Joe Dalle-Molle, but he's actually on a detail right now based out of Anchorage for Lake Clark.

1 So, what we do -- our mission for the
2 National Park Service is to preserve and protect natural
3 and cultural resources of the National Park System for
4 the education, inspiration, and enjoyment of the public
5 of this and future generations. And then Alaska, very
6 specifically, since we are subsistence parks designated
7 under ANILCA, we provide for subsistence uses. And
8 really, we have some, like National Park visitors who
9 come up here. But compared to places like the Grand
10 Canyon, not so many of those types of visitors. Most of
11 the people that use the park lands are local subsistence
12 users. So, that's sort of our tie to the Council here.

13
14 But a bit about sort of what we have
15 going on, as far as maintenance projects go, we did
16 finish reciting this building, the Northwest Arctic
17 Heritage Center last fall. So, you may have seen the
18 contractors around town, that's completed. And we are
19 planning a big housing project, a building project at
20 our property, which is at the intersection of 5th and
21 Mission Streets in Kotzebue, right across from Maniilaq.
22 So, we have some Park Service housing there, we have a
23 warehouse and an auto shop, and we are planning sort of
24 going through the compliance process to build new
25 housing that's replacing old housing that's no longer
26 meeting our needs. So, you'll see we're going through
27 tribal consultation with Native Village of Kotzebue, and
28 working on that project this year to get ready for
29 construction.

30
31 We want to give a thank you to several
32 of our partners who have really helped us move some
33 projects along this year including NANA, Maniilaq,
34 Aqqaluk Trust, Native Village of Kotzebue, Native
35 Village of Noatak, Native Village of Shungnak and
36 Shungnak Search and Rescue. The partnerships have
37 supported projects like place names work, museum
38 collections, review and exhibit and also, to support the
39 SRC. So, a lot of the work that we do is in partnership
40 with our partners here in the region, and we can't do
41 it without you. Do you wanna talk a little bit about
42 Qatnut?

43
44 MS. CREEK: Sure. So, one of our big
45 priorities for this summer is the Qatnut Trade Fair,
46 Sisualik trades fair. So, for those who are not familiar
47 this is a festival that is held here in Kotzebue,
48 traditionally it was at Sisualik in Cape -- what is now
49 Cape Krusenstern within the boundary. And dance groups
50 from across the Arctic come to perform, and there's a

1 whole bunch of festivities and activities, and so that
2 is one of our big things that we'll be focusing on,
3 along with a bunch of partners in the region. We are
4 going to have a table there and support some of the
5 events, and we're very excited. This is going to be my
6 first festival, and I've been looking forward to it ever
7 since I came up here. So, we're really excited to support
8 that and the community in that event.

9
10 MS. CARLSON: I wanna talk a bit about
11 some of the field work and projects that we have coming
12 up, similar to what Wil referred to, a lot of this is
13 just sort of pending funding and the ability to travel
14 and have our staff around. So, this is what we hope to
15 do, and if there are changes, we can kinda let you know
16 and keep you updated. But coming up pretty soon, starting
17 next week, we'll have a few rangers that will snowmachine
18 out into Kobuk Valley during the Kobuk 440, and they'll
19 work at the shelter cabin in Kobuk Valley, keep that
20 warm and greet the mushers as they come through, and
21 hopefully also make it out to the Giddings Cabin and
22 have a presence there as well. So, that's our first
23 patrol coming up.

24
25 But then moving more into the summer
26 field site, some of our bigger projects will include --
27 our archaeologist will be doing an archaeological site
28 assessment in Cape Krusenstern, up and down the coast
29 where there are hundreds of known archaeological sites.
30 And this won't involve any new excavation or digging or
31 collection of artifacts or anything like that, it's
32 mostly to go back to sites and document in particular,
33 following some of the big coastal storms that we've been
34 having, the flooding from October, to see if coastal
35 erosion is impacting any of these known archaeological
36 sites. So, there'll be three big trips where he and our
37 seasonal staff will spend probably about eight days at
38 a time camping and moving up and along the coast for
39 that. We're also hoping to do some restoration work of
40 the Kelly River Ranger Station in Noatak Preserve. We
41 may have to delay that. So, we might just be buying
42 supplies this year and actually doing the fieldwork next
43 year, so it remains to be seen. Our Interp and Ed program
44 is going to host a youth program in Cape Krusenstern
45 that they started last year and it was really successful,
46 we called the Arctic Travelers. Well, they sort of base
47 out of the Anigaaq Ranger Station area, and then we'll
48 backpack or boat and camp out in the area. So, we have
49 some flyers around in villages and are trying to recruit
50 youth to participate in this program.

1
2
3
4
5
6
7
8
9

CHAIRPERSON BAKER: Yes, Clyde.

MR. RAMOTH: So, I'm listening and learning the same time. So, partnerships, so like with the Shungnak Search and Rescue and other organizations you guys are involved with, is that through like written MOAs or...?

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MS. CREEK: Through the Chair. This is Emily Creek for the record. So, that particular partnership is through a general agreement between Gates of the Arctic, Western Arctic National Parklands and NANA. We're doing some place names work in the upper Kobuk, and we had a wonderful meeting with the Shungnak Search and Rescue, where we were able to learn how doing place names work can benefit their efficiency as a search and rescue team. So, that particular partnership is not like a formal agreement. It was -- it's kind of just a partnership that we're working through as we were visiting the community, and we learned a lot of really important good info and got some really great ideas from them.

25
26
27

CHAIRPERSON BAKER: Mike, did you have something?

28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

MR. KRAMER: Yeah, I have land over there in Sisaulik, and one thing I've noticed is the beach over near my grandmother's and my allotment. The beach has gotten farther out, way out there, compared to what it used to be when I was a kid. And I think that Sisaulik is getting closer and closer to being an island, it has little narrows, somebody owns an allotment right there, and I'm like, man, it's washing away. There's a lot of cabins that are starting to get closer and closer to the edge that back in the day, that edge was way over by 50 feet out. And now, you know, some of these cabins are hanging over the edge. I've noticed a lot of the beach sand moving more towards (In Native) and Sisaulik over the years. I haven't been across since that storm, but I'd like to go over there this coming summer and take a look and see what kinda damage. I know a lot of people who have camps over in (In Native) from Noatak, you know, they went to go check on their cabins, like Robbie Kirk and, you know, a lot of the other guys and from Noatak that have cabins over there, summer camps. But I did notice, you know, a lot of erosion and eventually Sisaulik and Kotzebue is gonna become an island. You know, I've lived there all my life, and one thing I've

1 noticed is some areas compared to what it used to be,
2 are so dry, you know, I don't know what that stems from,
3 but I remember back then my grandma's cabin there was
4 blackberries, like carpets. Now it's so dry there's like
5 no moisture. I don't know if that's because of the muskox
6 tromping or you know, it even hindered some of the
7 blackberry picking, some of the cranberries. But I've
8 noticed a big -- very big change in the environment over
9 there the last 20 years.

10
11 MS. CREEK: I can speak briefly about a
12 project that is -- some of the data is being analyzed
13 now, but we've flown a mapping system that we call
14 structure from motion that takes really high-definition
15 images. And they flew this along the coast of both Bering
16 Land Bridge and Cape Krusenstern several years ago, a
17 sort of like baseline data where the coast was at, and
18 then after Typhoon Merbok in 2022, there was a request
19 to have it flown again to understand the coastal erosion
20 that resulted from the typhoon. And they flew this last
21 summer up and down Cape Krusenstern coast, again. And
22 then we had this October flood, so the -- you know, we
23 have some baseline data, but we can actually do some
24 good comparison to see how the ground is shifting. So,
25 this winter they're analyzing the data that they
26 collected this summer, but that's maybe an idea for the
27 fall RAC if you'd like to hear more about coastal erosion
28 in that mapping project, to understand how Sisaulik and
29 the -- you know, how some areas there's more deposition
30 of sediment, in other areas it's washing away and
31 eroding. So, that might be an interesting project to
32 hear from if there's interest from the RAC.

33
34 CHAIRPERSON BAKER: I think any erosion
35 projects in general would be something good to bring up
36 this fall because it's affecting the entire region.

37
38 MS. CARLSON or CREEK: Yep.

39
40 CHAIRPERSON BAKER: So, if you could just
41 make a note to include that in your next report, that'd
42 be great.

43
44 MR. KRAMER: Another concern I see --
45 through the Chair -- was that, you know, I -- walking
46 around looking for blackberries I come across this old
47 grave and a human skull is visible. I was wondering if
48 there's plans of maybe reburying them in the same spot.
49 I don't know who they are, you know, a lot of our elders
50 from Sisaulik are gone. And I've tried to find out, you

1 know, who that person was or whose family that belonged
2 to, to see if maybe possibility [sic] we can rebury them
3 cause they were there many, many years ago. You know,
4 and I know there's other old gravesites within Sisaulik
5 and Cape Krusenstern National Monument. I was just
6 wondering if there's any possibilities of looking over
7 the area for exposed grave sites such as that one.

8
9 MS. CARLSON: That's a really good
10 question, and really closely related to some of this
11 archaeological site condition work is that we do know
12 sites are eroding are along rivers as well. So, the Park
13 Service's role in something like that sort of depends
14 on where this person is found, but we can help. And
15 really what we would probably do is try to get more
16 information about it and then engage in tribal
17 consultation about what is wanted. So, depending -- and
18 Emily, if you have a different answer. But I think that
19 is sort of our first step is like, what does the tribe
20 want or the landowner want, and how can we help that
21 process?

22
23 MS. CREEK: Yeah, I can chime in too.
24 This is Emily Creek for the record. If you see something
25 like that, the best thing to do would be to contact
26 anyone in our office. Whether you just call the front
27 desk or specifically our archaeologist Brendan, and I
28 can get you his contact. And then probably the Native
29 Village of Kotzebue as well. But under ANILCA, we can
30 assist in cultural resource issues, including human
31 remains in NAGPRA even if it's not on park lands. So,
32 definitely let us know, and let Native Village of
33 Kotzebue know if it's, you know, in the Kotzebue area.
34 Same with all of your communities if you're seeing this
35 and we can work with communities and tribal governments
36 on what is desired for those types of situations.

37
38 CHAIRPERSON BAKER: You can continue with
39 your report.

40
41 MS. CARLSON: Thank you, Mr. Chair. Just
42 a few other projects to briefly mention. The continued
43 place names work in Kobuk Valley and Noatak. The soon
44 to be published 400-page Kiana traditional use study,
45 which has been in progress for several years, so Emily
46 is working closely with those collaborators. But if
47 that's of interest to anybody there will be both this
48 quite large study, and then also sort of a more brief
49 summary of major findings in information about the
50 traditional connection of people from the Kiana region

1 to Kobuk Valley.

2

3

CHAIRPERSON BAKER: Yes, Clyde.

4

5

6

MR. RAMOTH: So, the Kiana study, is that part of something that Doug and Wanni Anderson did do for the (In Native) cause that's where my ancestors came from. Is that part of these studies?

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

CHAIRPERSON BAKER: Go ahead, Clyde.

MR. RAMOTH: For the record Clyde Ramoth, Selawik. They have a good record with Brown University in their studies. Thank you.

CHAIRPERSON BAKER: Mike.

MR. KRAMER: Yeah, I -- in the past, I've guided for an individual up there in Trail Creek. And, you know, on some of my hikes out there with the hunters, I found a lot of areas where there was artifacts. I even recall one of my hunters picking up a arrowhead, and I said, put that back. I said, I catch you touching that

1 again, that's serious issue. But it's pretty amazing
2 being up there in such high country and seeing, you
3 know, I mean, I could recognize old campsites just by
4 walking and looking. And I saw a lot of archaeological
5 things like spearheads, arrowheads, you know, old bones.
6 And they weren't human, but they were old caribou bones,
7 piles of rocks. You know, and the thing that amazed me
8 the most is some of them little, tiny valleys that go
9 up there, and you got high side, there's these trails,
10 it's like bigfoot walked up this ridge all the way up
11 to the top, but those are bears that made those footsteps
12 over the centuries. It's pretty amazing how you see those
13 things, and you're like, man, did some kid make these
14 or something. But, you know, and I found out that those
15 were there cause bears for the last, how many centuries
16 been walking in those same footsteps. You know, I've
17 seen a lot of archaeological things up there, places
18 where you could see where there was huts, maybe they
19 waited for caribou. There's a lot of pretty interesting
20 stuff farther up the Trail Creek that I seen, and that
21 was pretty amazing. But when I was working there, I was
22 real adamant to watching my hunters and make sure they
23 didn't touch stuff. And if they did, I said, put it
24 back.

25
26 MS. CARLSON: Thank you, member Kramer.
27 We're really interested to know about those sites. If
28 you happen to have photos or coordinates to just share
29 with us, we -- our archaeologist Brendan is really
30 interested in recording that it might be a known site,
31 or it might not be known in our sort of official
32 archaeological catalogue or database. So, that's just
33 for the public that's listening, if you do find
34 archaeological artefacts or sites in general, the Park
35 Service, Brendan in particular is interested in getting
36 photos, coordinates and then that message that you
37 should leave artefacts there and not collect them
38 because that's illegal, is all good for the record. Thank
39 you, Mr. Kramer.

40
41 CHAIRPERSON BAKER: Yes, Mike.

42
43 MR. KRAMER: Yeah, I used to even hunt
44 sheep up to Eli, and me and my brother took a hike, and
45 we went up along this wall, the sheer wall, slate wall.
46 And there's these egg-shaped things that was carved out
47 in this wall. Come to find out, there's, like, 20 of
48 them in there. That's where sheep lay down in those. And
49 you could see where they're rubbing their horns, making
50 them rounder, where they're, you know, protected from

1 the elements. And there's even a waterfall up there that
2 was carved in the rocks. And there was like about a
3 three-foot diameter hole in a pit. There was pretty
4 amazing things, and we went -- hiked up towards Mount
5 (In Native), and that's an amazing mountain, very
6 amazing. I would like to spend time just wandering around
7 and not having a specific campsite, just to go check out
8 things like that. I've seen a lot of those same footprint
9 things that I was talking about, even up there, up some
10 of these ravines and valleys.

11
12 CHAIRPERSON BAKER: You can continue your
13 report.

14
15 MS. CARLSON: Thank you. Final thing I'll
16 mention for projects this summer. As Dr. Raime Fronstin
17 was speaking about yesterday, our wildlife biologist,
18 he's continuing wolf studies in Noatak Preserve and
19 expanding with collaboration with Red Dog to hopefully
20 also do some den survey mapping in Northern Krusenstern
21 or more around the Wulik River and the Red Dog Road
22 area, so continuing that kind of work as well. And two
23 final things I'd like to address, one sort of exciting
24 news, in line with what member Kramer has been speaking
25 about is that most of the parklands, the 9 million acres
26 that the Park Service manages, have not been formally
27 surveyed for archaeological sites. So, we are continuing
28 to try to do that work, and for the past several years,
29 we've focused on the drainages in Northern Kobuk Valley
30 National Park, so that sort of drained the Salmon River,
31 the Tutuksuk, those rivers that drain to the south into
32 the Kobuk River. And, this last summer we had a field
33 crew of three people, including our archaeologist and
34 two people from University of Alaska Museum of the North,
35 who pack rafted along the Itkillik River looking for
36 archaeological sites. And they did find a new site that
37 was a series of small unikshuk the rock cairns that were
38 in sort of in a linear east to west orientation that
39 appeared to point towards Paatitaaq or Onion Portage.
40 So, that -- we're -- there's still a lot of sites that
41 are not formally documented. So, we appreciate your help
42 if you want to engage with us in that process. That's
43 really helpful for us as well. And this is just
44 information for anyone who knew Lois Dalle-Molle who
45 worked for the Park Service and lived here in Kotzebue
46 for many years. She passed away this last winter, and
47 so we wanted to just share, she had a big impact on
48 Western Arctic National Parklands. Her son Joe Dalle-
49 Molle is our current district ranger. And that family
50 it has a lot of history living and working in Denali and

00081

1 more recently in Fairbanks. So, just our thoughts are
2 with their family and anyone who knew Lois, we're
3 thinking of them. That's all I have for my formal report.
4 If anyone has other questions or comments.

5
6 CHAIRPERSON BAKER: Questions, comments
7 if there are -- Elmer.

8
9 MR. ARMSTRONG: Yes, thank you for your
10 information. I'd like to make a motion to write a letter
11 in support of their work on the Western Arctic National
12 Parklands, the Arctic Travelers Kids program. Also, the
13 restoration for ranger stations within the park, and
14 also continued work with sites that haven't been
15 discovered yet. Thank you.

16
17 CHAIRPERSON BAKER: Who would you like
18 to send it to?

19
20 MR. ARMSTRONG: You have any
21 recommendations where we should send this letter?

22
23 MR. CARLSON It would be great if you
24 could send it to our regional director. Right now, the
25 acting director's name is Dave Alberg, and I can provide
26 information after this.

27
28 MR. ARMSTRONG: Thank you.

29
30 CHAIRPERSON BAKER: Motion made by Elmer.
31 Is there a second?

32
33 MR. RAMOTH: I'll second. Clyde Ramoth.

34
35 CHAIRPERSON BAKER: Second by Clyde.
36 Discussion for justification.

37
38 (Pause)

39
40 MR. PATTEE: Through the Chair, Tristen
41 Pattee. I guess for justification, you know, it's -- you
42 know, carrying on knowledge and certain traditions and
43 potential findings that could be out there. I think it's
44 very important that, you know, future generations can
45 potentially hear about all these stories and also be
46 involved with all the activities that are going on with
47 everything that Elmer has mentioned and everything, you
48 know, everything has to do with subsistence as well. And
49 so, you know, it's -- I think it'd be a great thing for
50 something to be supported.

1
2 CHAIRPERSON BAKER: Further discussion.
3 I feel like we can use what has already been said in the
4 transcripts as far as their undocumented sites, there's
5 knowledge of them locally. I'm getting thumbs up from
6 the back of the room. So, is there any other discussion
7 we'd like on record?

8
9 (No response)

10
11 Seems this will be sufficient for
12 justification. With that, all those in favor of this
13 letter of support, please signify by saying aye.

14
15 IN UNISON: Aye.

16
17 CHAIRPERSON BAKER: And those opposed,
18 same sign.

19
20 (No response)

21
22 Hearing no opposition. And we do have a
23 quorum to conduct business and pass motions. So, with
24 that, with no opposition, we'll go ahead and draft that
25 letter. Any final questions or comments? If there are
26 none, I would ask Emily to just continue riding to your
27 SRC reports.

28
29 MS. CREEK: Thank you, Mr. Chair. Again,
30 for the record, this is Emily Creek subsistence
31 coordinator and cultural anthropologist for Western
32 Arctic National Parklands. I provided an update from
33 both the Cape Krusenstern Subsistence Resource
34 Commission and the Kobuk Valley Subsistence Resource
35 Commission, which are tab 7 and 8 in your materials. But
36 I'll just kind of read this briefly, I don't have too
37 much for you. So, we'll start with Cape Krusenstern. So,
38 the Cape Krusenstern Subsistence Resource Commission met
39 on February 24th, 2025. This Commission was established
40 in accordance with the Alaska National Interest Lands
41 Conservation Act Title VII, and is regulated by the
42 Federal Advisory Committee Act, or FACA. And as
43 mandated, the Commission will make recommendations to
44 the Secretary of the Interior and Governor of Alaska on
45 any changes in the subsistence hunting program or its
46 implementation that the Commission deems necessary after
47 consultation with the appropriate local committees and
48 Regional Advisory Councils, and this is in vicinity of
49 the Cape Krusenstern National Monument.

50

1 So, during their February meeting, we
2 did not have a quorum. But there were four members
3 present who decided to hold a work session. The members
4 shared their observations from fall and winter in the
5 Kotzebue, Noatak and Kivalina areas. Members discuss
6 concerns about the October 2024 storm that we've been
7 hearing about, and impacts on coastal erosion, burials
8 and traditional sites. They also discussed the lack of
9 beluga and salmon last year. And they shared concerns
10 about heavy rain impacting the ability to dry their black
11 meat and happiness about caribou being around their
12 communities. And then specifically, our member from
13 Kivalina emphasized that the community was putting a lot
14 of effort into focusing the harvest on young bulls and
15 trying to not harvest as many cows. And there are two
16 current vacancies on this Commission, and I'm very
17 excited to report that I've had three people express
18 interest. I am always seeking people who are interested
19 in applying and if anyone on the radio listening is
20 interested in learning more, I'm still taking names
21 before I send them forward. So, thank you to those who've
22 expressed interest, and I really appreciate that.

23
24 Likewise, the Kobuk Valley Subsistence
25 Resource Commission also met in February. They met on
26 February 26th. And I'm not going to read the legalities,
27 it is the same as the Cape Krusenstern. But there were
28 five members present, and so there was quorum as we have
29 seven seats out of nine filled. Members shared their
30 observations from the communities of Noorvik, Kiana,
31 Ambler, Shungnak, and Deering. Members discuss concerns
32 about beavers and wolves, and shared that the caribou
33 had arrived in many of the Kobuk River communities and
34 were around Deering at that time. Members had concerns
35 about balancing the community's needs for healthy food
36 with conservation of the cows during the winter harvest,
37 and members expressed concerns about the store prices
38 in villages and empty shelves and some of their stores.
39 And I added in this that the SRC had a proposal for the
40 ptarmigan regulations, and you already addressed that
41 yesterday, so we don't need to go into that one.

42
43 Similar, we have two current vacancies,
44 and I am also happy that I had some folks interested in
45 applying for this commission. Once again, I am still
46 taking names for a couple more weeks before sending them
47 forward. So, if anyone is interested in serving on the
48 Kobuk Valley SRC you may call the Park Service office
49 and get in touch with me. But I wanna thank everybody
50 for their interest, and I want to thank both of the

1 Commissions for their really great work. And, you know,
2 their role is really formalized in law, but also, we
3 kind of used our SRCs as a sounding board for a lot of
4 our projects and a really good example is Dr. Raime
5 Fronstin's wolf project. After years of SRC concerns and
6 RAC concerns, that's how that project got started, and
7 so just to emphasize how important this body is and the
8 Subsistence Resource Commissions. So, thanks to everyone
9 who volunteers their time.

10
11 CHAIRPERSON BAKER: Any questions,
12 comments? Clyde.

13
14 MR. RAMOTH: Yeah, Clyde Ramoth, Selawik.
15 Just a question. So, the SRC, I heard Mr. Pattee talked
16 about it the last couple of days, but I remember we had
17 a Lower Kobuk Committee Council, whatever it was,
18 because I switched from -- it was the Seward Peninsula
19 where we just talked about seals and other stuff with
20 Buckland and Deering, but I remember -- I had that
21 argument. So, we end up with a Selawik, Noorvik, Kiana.
22 Is that something similar to that?

23
24 MS. CREEK: Thank you, member Ramoth.
25 Through the Chair. So, to make things nice and confusing
26 this body serves you know, all of the federal land
27 managers in the Northwest Arctic or NANA region. The
28 Subsistence Resource Commissions are also federal
29 subsistence advisory bodies, and they tend to focus most
30 specifically on the parklands. So, we have one for Cape
31 Krusenstern and Kobuk Valley, and anyone from NANA
32 region can serve on any of those commissions. What you
33 are referring to, I believe, is the State's Advisory
34 Council, the ACs, and it is my understanding that the
35 State has a new Council Coordinator Sam Kirby and is
36 working to get these various groups back up and running.
37 And if your community would like her contact
38 information, I can pass that along, cause I know that
39 there's several of these that have not been meeting for
40 a while. Thank you.

41
42 CHAIRPERSON BAKER: Yeah, if you could
43 disseminate that to Lisa, she'll pass it out to us. Are
44 there any other questions or comments for Emily and the
45 SCRs?

46
47 (No response)

48
49 Hearing none, thank you both for your -
50 oh, Verne did you have.....

1

2

MR. CLEVELAND: Yeah, I was in the Lower Kobuk -- I well, I was going to be late cause of the cousin's cold and food wasn't cooked. But yeah, I was in a Lower Kobuk Advisory. And then what happened? I mean, we -- disappeared or something. So, I saw another one here called what, SRC now? Kobuk or something? I see you got some seats vacant. Maybe we will be interested in those. I'll probably talk to you later. Thank you.

10

11

12

13

14

15

16

CHAIRPERSON BAKER: Thank you for that - presentations. We will move on to the next item, which is the Gates of the Arctic National Park and Preserve 2025 winter update. Marcy Okada, are you on the line and ready?

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

MS. OKADA: Thank you, Mr. Chair, Council members. For the record, my name is Marcy Okada subsistence coordinator for Gates of the Arctic National Park and Preserve, and I'd like to refer you to tab 10, in your supplemental meeting packet. And I will provide an update on our Gates of the Arctic Subsistence Resource Commission before handing it off to Kyle Joly to give a caribou update. So, Gates of the Arctic National Park and Preserve Subsistence Resource Commission covers three different regions: North Slope, Northwest Arctic and Western Interior Region. And so, your advisory body, your RAC appoints a RAC member to our SRC for Gates of the Arctic and currently its Tristen Pattee, who's sitting there with you. And we also have another upper Kobuk seat that's filled by Raymond Woods from Shungnak. And our SRC met on November 13th and 14th in Fairbanks. Similar to your RAC meeting, we had a variety of presentations shared with our SRC, a Carnivore Local Knowledge Project and a Brooks Range Fish Research Project, both conducted by the Wildlife Conservation Society. We also had a rusting rivers presentation shared with our SRC and a presentation about dall sheep ecology and a health assessment done by the Alaska Department of Fish and Game. Our next meeting was supposed to be scheduled in Ambler in April, so next month, but unfortunately, we've reverted to a teleconference type of forum for our April meeting. And we're gonna continue to have discussions about the Western Arctic Caribou Herd and dall sheep management within Gates of the Arctic National Park and Preserve. And so, I'm gonna hand -- if there aren't any questions, I'm gonna hand it off to Kyle to discuss caribou research projects that are currently happening.

1 CHAIRPERSON BAKER: Kyle Joly, are you
2 on the line?

3
4 MR. JOLY: I am, can you hear me okay?

5
6 CHAIRPERSON BAKER: Yes, we can now.

7
8 MR. JOLY: Great. Hi, everyone. My name
9 is Kyle Joly, I'm a caribou biologist for the National
10 Park Service. I was just gonna report on some -- three
11 different papers that we've published on our research.
12 The Park Service has put out GPS collars since 2009, in
13 the Western Artic Herd, and I've been working with
14 caribou for about 30 years now. So, the first one is the
15 next portion of your handout. What we did was we looked
16 at survival of adult female caribou in the Western Artic
17 Herd. One of the things that we noticed, and you all
18 have noticed and commented on, is that there's been a
19 change in migration patterns. And so, previous to 2016,
20 usually about 75% of the collared females would cross
21 the Kobuk River in winter south, since 2016, we've seen
22 a lot less, about half as many migrating south of the
23 Kobuk River. And so, that's been a large change that's
24 affected subsistence hunters across the region. One of
25 the things that our analysis showed was that caribou
26 were dying at different times of the year. Before 2016,
27 a lot of the mortalities were during the summertime, but
28 that has changed, and the bulk of mortalities are now
29 in wintertime. One of the interesting findings of this
30 paper was that when caribou did well on their winter
31 range, they survived at a high rate, they tended to go
32 back to that winter range. And so, if they had good
33 conditions, they survived well they went back, and when
34 things turned and survival declined, they abandoned
35 those winter ranges and stayed up further north in the
36 Brooks Range and even on the North Slope. And so, the
37 animals are trying to adapt to the conditions that are
38 being presented. I'll take questions on that one before
39 I move to the next page and next paper.

40
41 CHAIRPERSON BAKER: Any questions at this
42 time? If not, you can continue. Mike.

43
44 MR. KRAMER: Hi, this is Councilman
45 Kramer. On you guys' collared data, when was the first
46 collars that crossed the Noatak, in what date or what
47 month? Reason is, is cause I'm trying to come up with a
48 date line as to when, you know, the first group start
49 to cross the upper Noatak and start working their way
50 toward Kobuk River.

1
2 MR. JOLY: Yeah, thank you. That's an
3 excellent question. We actually do track that. I don't
4 have the answer off the top of my head. The numbers that
5 I have off the top of my head are for the Kobuk River
6 rather than the Noatak River. But we do have an annual
7 report that documents the crossing times of both those
8 rivers. Off the top of my head for the Kobuk River when
9 we first started putting collars, GPS collars out the
10 caribou were crossing the Kobuk in late August which
11 people thought was fairly normal. But already starting
12 to get a little bit later than, you know, a decade or
13 two before that. To contrast that, in 2020 we didn't
14 have the first animal cross the Kobuk River until
15 November 2nd, and so that's a delay of more than two
16 months in a span of just ten years.

17
18 So, if you give me a moment, I will try
19 and get the information for you for the Noatak. And I
20 think OSM staff should be able to give you information
21 -- the annual report that contains all this information.
22 All right; I'm pulling it up now. So, for the Noatak
23 River it's quite variable, we have the average crossing
24 in 2023 was September 28th. The year before was September
25 25th, year before that was September 16th and the 26th,
26 the 6th. 2018 was a very late year, that was October
27 13th. And mostly in September, a couple of Octobers [sic]
28 I don't have the information for when the first animal
29 crossed. I know that some animals do cross as early as
30 July, and those movements tend not to be part of the
31 fall migration. They tend to -- the animals tend to
32 cross the Noatak high up well above like the Nimiuktuk,
33 and then they'll move westward towards the Village of
34 Noatak rather than migrating south and what they do after
35 that depends on what the weather brings.

36
37 CHAIRPERSON BAKER: Tristen.

38
39 MR. PATTEE: Through the Chair, Tristen
40 Pattee. You know, I'm just -- after you've made your
41 presentation there about the adapting animals you know,
42 going up and down the Red Dog Road, I would -- you know,
43 during high wolf years, I would notice them hanging --
44 a whole bunch of caribou hanging at the north side, and
45 the south side of the road. Quite often they just kinda
46 hang out. And we've, you know, we've often made comments
47 like, yeah, we must be keeping them safe from the wolves.
48 And do you think that's a potential cause they feel like
49 it's a safe place.

50

1 MR. JOLLY: Yeah, I mean there's
2 different factors that will impact the caribou
3 movements. We have noticed delays in association with
4 the Red Dog Road. But animals, wolves, predators tend
5 to avoid humans, and that does make those places more
6 attractive for caribou.

7
8 CHAIRPERSON BAKER: Any more questions at
9 this time? Elmer.

10
11 MR. ARMSTRONG: Thank you. Elmer
12 Armstrong, Noorvik. Is there any information on why they
13 travel west to east sometimes in the summer grounds?

14
15 MR. JOLLY: Yeah, that's an excellent
16 question. And so, we do see that very typical movement.
17 So, you know, the herd calves in the Utukok uplands and
18 then they kinda drift southwest towards the Kivalina
19 area, the Wulik Mountains and that's where they are most
20 likely to be found during those huge aggregations that
21 are associated with insect harassment. And when that
22 insect harassment abates or lessens it's almost like
23 clockwork, the animals just shoot west to east, across
24 the Brooks Range, kinda up and over the mountains, like
25 they're not even there. A lot of people tend to think
26 of caribou crossing the Brooks Range north to south in
27 their migratory movements, but that summer movement is
28 very distinctly west to east. And you know what happens
29 after that movement depends on what the weather and bug
30 conditions are. A lot of times they'll drift north into
31 -- back into the calving area up onto the North Slope.
32 You know what specifically driving that that movement,
33 I think it's the abatement of the insect harassment, and
34 then, you know, searching out good areas to forage while
35 the feeding conditions are good during the summer.

36
37 CHAIRPERSON BAKER: Verne.

38
39 MR. CLEVELAND: Verne Cleveland,
40 Noorvik. Is there anything that would bring from Red Dog
41 the noise that would turn the animal from west to east,
42 cause we tried for years to as the caribou migration to
43 have them quit drilling and blasting during migration.
44 But seems like it didn't happen. So, you think that the
45 noise from the Red Dog Mine is affecting the migration
46 big time or what?

47
48 MR. JOLLY: Thank you, Council member
49 Cleveland. Kyle Joly, for the record. We have documented
50 that the road is affecting caribou migrations. We're not

1 sure what is causing that, that's what we'd like to look
2 at next in our investigations. We're not sure if it's
3 road, or if it's road dust or you know, potentially the
4 road being elevated. We're not really sure what that is.
5 That is where we wanna go next, so we can try and
6 mitigate those impacts on caribou flow. In terms of, you
7 know, explosions or something like that at the mine.
8 Generally, when we see that west to east movement, it
9 starts west of the mine and flows past the mine to the
10 east. So, you know, I'm not sure what the blasting
11 schedule is, but the flow does actually take them from
12 west of the mine, past the mine to the east. So, I guess,
13 you know, that's where we want our research to go, is
14 to try and figure out what impedes caribou movements and
15 what doesn't, so we can try and lessen those impacts.

16
17 CHAIRPERSON BAKER: Verne, did you have
18 a follow up?
19

20 MR. CLEVELAND: I know that for a fact
21 our changeable weather is a factor. It's a lot -- been
22 a lot warmer in our area than before. That's what's
23 affecting the migration big time cause a lot of bugs on
24 lower areas and they try and stay up in the mountains.
25 But as a hunter, some guys report that they're way up
26 on Kolli River, and they could hear the loader backing
27 up, just like backing up right to them from 100 miles
28 away. And the sound in the nighttime goes faster than -
29 - you know, so it affects the animal, and I know it
30 does. So, maybe I'll talk to some of these hunters from
31 Noatak that are way upriver hunting. And the noise they
32 hear from Red Dog, it's just like, right around the
33 corner, so -- and often they -- they often just say that
34 to me. I want put it in writing so I can document it,
35 but nothing yet. Thank you.

36
37 CHAIRPERSON BAKER: Mike.
38

39 MR. KRAMER: (Indiscernible) is Mike
40 Kramer, through the Chair. How many times last year --
41 excuse me -- did the caribou ping off of the Red Dog
42 Road until they -- did any cross last year? Cause I know
43 that this last group of caribou we got that passed
44 through here, I was kinda wondering where they came from.
45 I know that a few years ago when the caribou came to
46 here, there was only about a four or five day window
47 where people hunted caribou, and then a couple other
48 people tried to go back here to look for them. Man, they
49 marched all the way down to Callahan in like four or
50 five days. That's some pretty rapid movement from, you

1 know, a caribou herd or a group of caribou. Yeah, my
2 concern is just, you know, the pinging off the Red Dog
3 Road. And a few years back, I was with a friend of mine
4 up at the Kelly River, and we were fishing for trout,
5 and you could hear backup alarms like there -- like
6 Verne says they're just right there. I mean, you're
7 looking for, you know, the headlights of a mining vehicle
8 on the mountainside. But yeah, that sound carries a
9 longways. And it is kind of concerning, you know, if
10 it's gonna continue farther east, you know, will it pull
11 the -- push these caribou farther east, or will it change
12 their migration? Will it start to allow more pinging and
13 further east the road goes? That's my question. Thank
14 you.

15
16 MR. JOLY: Through the Chair, Kyle Joly.
17 First, thank you both for those observations, Council
18 members Cleveland and Kramer. I think they're excellent,
19 and I too think looking into the how far sound carries
20 is really important. And you know, I've been in talks
21 with Dr. Brinkman, who was at the meeting today. We're
22 hoping that we might be able to investigate that. It is
23 amazing how far sound can carry. So, that is something
24 that we would like to investigate, hopefully we'll get
25 some funding to look at that further. Mr. Cleveland's
26 observation about weather and bugs, you know, that is,
27 you know, really important. And you know, temperature
28 is definitely a driving factor, that's something that
29 we heard from him and the working -- the Western Artic
30 Herd working group, and we were able to use some western
31 science to quantify that and, you know, corroborate, you
32 know, what people are seeing out there. During that fall
33 migration, we were able to document in our way and
34 corroborate with local observations that cold
35 temperatures and increasing snowfall kinda drive the
36 caribou southwards. And when it stays warm, the bugs
37 stay out, they don't like to make those movements. As
38 for Mr. Kramer's question about the Red Dog Road, this
39 fall. Early on I was watching the caribou movements, and
40 it looked like the bulk of the herd might come across
41 the Red Dog Road, they were quite a lot of them. Probably
42 50-60 miles north-northwest of the mine. I alerted the
43 mine that there were quite a few collars, I can't
44 remember how many exactly off the top of my head, but
45 more than I've seen in a long time, kinda piled up. They
46 actually just stayed there for several weeks, and then
47 they drifted off to the northeast and eventually east
48 and then migrated south. And so, they didn't interact
49 much with the Red Dog Road this year.
50

1 CHAIRPERSON BAKER: Mike, follow up?

2
3 MR. KRAMER: Yeah, I just have one more
4 question. One thing that we weren't provided in any of
5 our material as I looked over it earlier, was the
6 proposed new area that Red Dog was gonna be mining, you
7 know, that map was not provided to us for the area that
8 it is, that they plan on mining either now or beyond
9 2031. I was kinda hoping to see something like that, or
10 even EIS from their Red Dog Subsistence Committee,
11 regarding the new area. If there's gonna be any other
12 impacts. But that's one thing we have not heard from --
13 with Red Dog Subsistence Committee or Red Dog as a whole
14 or NANA regarding the new location, the plan -- the area
15 they plan on mining next.

16
17 CHAIRPERSON BAKER: Tristen.

18
19 MR. PATTEE: Through the Chair, this is
20 Tristen Pattee. Kyle, you know, within -- with your 30-
21 year career, I'm sure you have loads of collar data
22 through -- throughout the -- throughout your entire
23 career. I'm wondering if it would be good to get the
24 data of those -- of, you know, 30 years that you have
25 at Onion Portage. The river goes east to west, and
26 there's multiple gunshots at Onion Portage, there's
27 multiple boats, there's multiple things that actually
28 interfere with a caribou's migration. I would like to
29 see if the data shows that they still go -- migrate
30 south.

31
32 MR. JOLY: Yeah, thank you for those
33 questions. I'll start with Mr. Kramer's. I think there
34 was a Red Dog person on before, if they're on now, that'd
35 be great for them to jump in. If not, my understanding
36 is that they're planning on extending the road from the
37 mine northwards for about ten miles to a deposit there.
38 And that's probably as much information as I have to
39 share on that. For Mr. Pattee's comment, I - question,
40 I would say that looking at the data we've never seen
41 any deflections at Onion Portage. I've been there a
42 number of times, probably not nearly as many times as
43 you being an Ambler resident. But, yeah, I mean, there's
44 people cutting firewood, there's sometimes ten different
45 boats, there's gunshots, sometimes those are from high
46 powered rifles, sometimes they're from 22s, there's
47 people camped out there. I have not seen any indication
48 that those subsistence activities are deflecting caribou
49 at the Kobuk River. The only time that I've noticed
50 potential deflections along the Kobuk River is in more

1 recent years I've seen them, and I haven't been able to
2 quantify it yet, but I believe it's the later migration.
3 The animals are reaching the Kobuk River as pancake ice
4 is forming, and they don't like to cross the river then.
5 And so, then they start moving west to east or east to
6 west along the river waiting it for either a thaw to
7 happen so they can swim across the river or a freeze to
8 happen so they can walk across the river, but I have not
9 seen any indications of deflections due to subsistence
10 activities.

11
12 CHAIRPERSON BAKER: Thank you for that.
13 Kyle, did you have more to report on? I know we got in
14 the thick of a bunch of questions and comments. Was
15 there more to your report or to Marcy's report?

16
17 MR. JOLY: Yeah, I had two other reports
18 that I can just briefly touch upon, there on the next
19 page of your handout. So, the next one, I mentioned that
20 you know, some animals are staying up north and some
21 animals are heading south of the Kobuk River to winter.
22 And so, what we did is, we looked at what the animals
23 were doing, and what we found was that the animals that
24 stayed north, they moved a lot less about half as much
25 as the animals that move south. And the animals that
26 move south and wintered south of the Kobuk River, they
27 found two and a half times more lichen abundance or
28 lichen cover which is their primary winter forage. And
29 so, we think, this is evidence that the caribou that are
30 migrating are migrating to go find those lichens, and
31 when they do get down there, they're moving more to try
32 and acquire more lichens. And so, they're trying to get
33 as much energy as they can over the winter, and they'll
34 have the expense of moving about more to acquire more
35 lichens. Whereas the animals that stay north of the
36 Brooks Range, there's less lichens up there, and they
37 tend to get into an energy savings mode where they tend
38 to move less and just try and eke it out through the
39 winter. And so, that paper was in the Journal of
40 Mammalogy. I'll take any questions on that if there are
41 any.

42
43 CHAIRPERSON BAKER: Mike.

44
45 MR. KRAMER: Yeah, the one question I
46 have is, when you were talking about lichens, have you
47 guys done any studies within their migratory range,
48 whether they eat themselves out of house and home?

49
50

1 MR. JOLY: That is a fantastic question,
2 Mr. Kramer. I would say I'm currently working on an
3 analysis looking at just that. The place that I think
4 probably will have the most evidence of that is on the
5 Seward Peninsula. We've seen large declines in lichen
6 abundance, especially on the northern Seward Peninsula,
7 and it does seem to coincide with the Western Artic Herd
8 moving into that area and up to 80% of the herd spending
9 their entire winter up there. And so, I suspect you're
10 correct, and I'm working currently on trying to quantify
11 that using some western science.

12
13 CHAIRPERSON BAKER: No other questions,
14 so you may continue.

15
16 MR. JOLY: Great. The last one, which is
17 also on the same page, is a paper that I was part of,
18 and also, Alex Whiting who's from Kotzebue, most of you
19 probably know. And we worked with a bunch of Canadian
20 scientists, and what we were trying to do is just trying
21 to document the state of caribou across North America.
22 And so, that paper is just kind of a -- an overall how
23 are caribou doing in North America right now. The overall
24 story is not super positive, caribou across the northern
25 area where you find the big migratory herds like the
26 Western Artic Herd, they're down about 65% off their
27 population highs. There is some variability, most
28 notably is the Teshekpuk Herd, which until the last
29 census has been doing very well. But across the continent
30 they're not doing very well, and there's been some
31 declines up to 98% or 99% of the herd has disappeared.
32 So, that's part of a technical report called the Arctic
33 Report Card. And I'll be happy to take any questions on
34 that as well.

35
36 CHAIRPERSON BAKER: Seeing no questions
37 for that. Any final questions or comments for Kyle?

38
39 (No response)

40
41 Seeing none. Thank you, Kyle, for your
42 reports. Marcy, did you have anything else for Gates of
43 the Arctic or does that conclude everything for Gates
44 of the Arctic Park and Reserve update, as well as the
45 SRC, which I believe you mentioned, but did you have
46 more to report on the SRC?

47
48 (Simultaneous speech)

49
50 MR. JOLY: Mr. Chair.

1

2

MS. OKADA: Oh, go ahead, Kyle.

3

4

5

MR. JOLY: Sorry, Marcy. I just wanted to say thank you, Mr. Chair. I appreciate it, and I'll send the latest annual report to OSM staff so that they can share it with you all.

6

7

8

9

CHAIRPERSON BAKER: Thank you for that, Kyle.

10

11

12

13

14

15

16

17

18

19

20

21

MS. OKADA: So, Mr. Chair, Council members, just to wrap up real quickly, the final page of your handout, we touched upon sheep a little bit yesterday, but last time the portion of Unit 23 that falls in Gates of the Arctic was surveyed was 2015. And unfortunately, this year there won't be any surveys in that area either, but we will continue to be surveying the northeastern and southeastern portions of Gates of the Arctic this coming summer. So, that's our update for Gates of the Arctic. Thank you.

22

23

24

25

26

27

CHAIRPERSON BAKER: Thank you for that. And just to confirm, that takes care of the winter update, as well as the Gates of the Arctic Subsistence Resource Committee - Commission?

28

29

30

31

32

33

34

MS. OKADA: Yes. Thank you, Mr. Chair, Council members.

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

CHAIRPERSON BAKER: Thank you for confirming that. How about we take a five-minute break and then we'll move right into Ms. Luby's presentation?

(Off record)

(On record)

CHAIRPERSON BAKER: All right, it is 2:40, we will move on to the next item on the agenda. We will be hearing from Ms. Caitlin Luby and Mr. Todd Brinkman. If you'd like to come up and put yourselves on record, you have the floor.

(Pause)

MR. BRINKMAN: Good afternoon, everybody. My name is Todd Brinkman, I'm a professor of wildlife ecology at University of Alaska Fairbanks.

1 MR. LUBY: And I am Caitlin Luby and I'm
2 a master's student in Todd Brinkman's lab.

3
4 MR. BRINKMAN: So, I'm gonna begin today
5 by just providing a quick overview of the project that
6 we're just about to start, and then I'll hand it off to
7 Caitlin to share some specifics with all of you. So,
8 this is a collaboration between the University of Alaska
9 Fairbanks, the National Park Service, and Alaska
10 Department of Fish and Game. Our other kind of co-
11 investigator on this is Kim Jochum, who's on the phone
12 today. The overarching goal of the project that I'm about
13 to share with you is a result of attending and listening
14 to folks at various meetings about caribou over the last
15 several years, trying to identify what their pressing
16 concerns were, what their research priorities were, and
17 then working with the National Park Service and Alaska
18 Department of Fish and Game to figure out what we can
19 do at the University to complement other efforts that
20 are already underway. But to dive right into the goal
21 of the project that we're just beginning, it is to
22 provide comprehensive information on how the
23 availability of caribou for communities has changed in
24 the Northwest Arctic over time. And so, the motivation
25 for this research is -- and this was talked about
26 yesterday, that the harvest reporting on caribou is
27 considered to be a little bit imprecise and incomplete.
28 And there's a need to create maybe a better historic
29 reconstruction of how the availability for communities
30 has changed as this population has went through this big
31 cycle over the last 30 years, and that's what we plan
32 to do.

33
34 So, we're gonna try to pull data from
35 all the different sources where it's been collected. So,
36 you can think about the Alaska Department of Fish and
37 Game comprehensive household surveys that are conducted
38 every so often. Each year, many communities are doing
39 their own harvest reports to ADF&G Division of Wildlife.
40 We have entities like this that are meeting a couple
41 times a year, where we're pulling from your minutes over
42 the last several decades. We're using sources like the
43 minutes from the SRC meetings, the Western Arctic
44 Caribou working group meetings, and then we're also
45 gonna be using collared data and information like that.
46 So, you can think about all these different sources of
47 information that we're gonna try to pull together to
48 better understand over the last 30 years, how the
49 availability for all the communities in the Northwest
50 Arctic has changed as the caribou population has

1 changed. And now I'll turn it over to Caitlin Luby here,
2 which will tell you about where we're at in this and
3 what our next steps are.

4
5 MR. LUBY: Thank you. And thank you,
6 Council members. So, for some context, I started on this
7 project in fall of last year, and I am kind of in the
8 first phase of my research which will be kind of filling
9 in the gaps on the grid on the back side of the handout
10 that I gave you. And just for a little more context
11 about that, the series of graphs on the right-hand side
12 of the first one is kind of the broad trends that
13 communities have reported through the Division of
14 Subsistence for ADF&G, which captures a trend, but it
15 doesn't capture the full picture. So, on the reverse
16 side, I'm trying to fill in as many of those areas that
17 are missing sources of data with kind of a broad picture
18 of whether availability in communities has been good,
19 has been bad, or has kind of been the same. So, just a
20 coarse assessment of what that looks like. And then in
21 -- after the summer and starting in the fall, I'm --
22 I'll be moving into kind of the second phase, which I
23 hope to address what implications communities are facing
24 as far as food security goes and which can take a number
25 of different directions. And I -- part of this project
26 I was hoping to be able to visit communities and have a
27 little bit more of a discussion about that, but with
28 some funding changes, that may not happen. So, this is
29 serving as an introduction of what we're doing and what
30 our project looks like. And in the fall, I'll be
31 hopefully presenting it to you again to give you an
32 update on what that looks like. You have anything to
33 add?

34
35 MR. BRINKMAN: Yeah. So, today was about
36 sharing with you all what we're doing and what we plan
37 to do in the future. But obviously we'd like you to
38 engage in the process and be part of it as we move
39 forward. When Caitlin finishes filling in the
40 spreadsheet with all the data that we have available to
41 us, there's still gonna be some holes and there might
42 be an opportunity for us to work together to fill in a
43 few more of those. And I don't wanna over promise
44 expectations here but say that we were able to bring in
45 all this rich information and get a better picture of
46 harvest, and how it's changed over time. It could
47 actually improve on our harvest estimates or help us
48 design a new method to get at a more accurate assessment
49 of what harvest is on this herd. And then the last thing
50 I'll share, and then I'll open up for questions or

1 comments if you have any is -- yeah, like Wil articulated
2 nicely early, there's a tremendous amount of
3 uncertainty. We were awarded a contract through the
4 National Park Service last summer that had us fully
5 supported for the next two and a half years to complete
6 this work. In early February we went in to bill the
7 award, so how it works with the University is we go
8 online, and we submit our invoice through an online
9 portal, and then we get paid for the work performed. The
10 award was gone, it had vanished from their system, so
11 there was no one to bill. Nobody told us that the award
12 had been removed, nobody told us why, nobody told us to
13 stop spending. So, right now, we're still trying to
14 figure out what happened and if that award will return.
15 If it doesn't, we're still gonna try to limp forward and
16 do the best job we can to achieve our objectives. But
17 it's gonna be obviously much more difficult without the
18 funds to support students like Caitlin and others that
19 are involved in the project. Thank you.

20
21 CHAIRPERSON BAKER: Questions? Elmer
22 then, Clyde.

23
24 MR. AMRSTRONG: Well, with that being
25 said. Elmer Armstrong, Noorvik. I would like to make a
26 motion for a proposal to write a letter in support of
27 the UAF collecting data. And, who would we write the
28 letter to, if you could...?

29
30 MR. BRINKMAN: Through the Chair, to
31 member Armstrong. I think if you -- I can give you
32 contact information at UAF on who would be good.
33 Otherwise, you can address it to me, and I can share it
34 with our leadership and/or those other potential
35 organizations that might provide funding, cause that's
36 our next step, obviously, is to pursue different
37 channels to try to make this happen.

38
39 MR. AMRSTRONG: Thank you. Through the
40 Chair, Elmer Armstrong, Noorvik. Just for justification.
41 I think UAF will be good at collecting data as -- because
42 of the numbers are declining, and I think it's very
43 important to food security. Thank you.

44
45 CHAIRPERSON BAKER: Motion made by Elmer.
46 Do we have a second?

47
48 MR. KRAMER: Second.

49
50 CHAIRPERSON BAKER: Seconded by Mike.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

MR. RAMOTH: I'll call for questions.

CHAIRPERSON BAKER: Before we go into calling for the question, does staff have all the direction they need? See a thumbs up. So, all those in favor, please signify.....

MS. HUTCHINSON: Tristen.

CHAIRPERSON BAKER: Tristen

MR. PATTEE: Just real quick. Through the Chair, Tristen Pattee here. Yeah, I think with this project and our declining caribou herd, I mean, the implications are pretty massive. So, I think it is very important for this project to move forward. Just to kind of help our communities kind of see what's going on with this and then kind of learn to adapt. You know, we have to figure out what we're gonna do next, you know, because we -- you know, with this type of data, we could say, okay, this is what's going on, and okay, this is what we need to change in our lives, this is what we need to do going forward. So, I think this is just something that could really help us see a big picture of everything. So, appreciate your hard work.

CHAIRPERSON BAKER: Verne.

MR. CLEVELAND: I think we're not the only ones that are declining, right. There's Canada, Norway, wherever there's caribou, there's -- they're in the decline, too. And we're not the only ones that are in decline on caribou. It's Greenland, wherever those caribou are they're in decline too, right?

UNIDENTIFIED: Yeah, thank you.

CHAIRPERSON BAKER: Mike.

MR. KRAMER: I yeah, I kinda hope that you guys would get your guys funding back. You know, one question I wanted to ask, you know, the caribou biologist that we had here, you know, when was the first collar placed on a caribou? That's my curiosity. And how far back it was? Some of the best information that you guys can get is from some of us baby boomers and prior baby boomers. You know, people that were born in the 60s, late 60s or 60s, cause I grew up here. I could remember back in the day hunting caribou with my dad in the back

1 seat of a Super Cub, all the way to where, you know,
2 when my dad left here, you know, I thought I knew the
3 land like the back of my hand. It was a lot different
4 when you're on the ground. One thing I noticed when I
5 started going out with snowmachines and stuff that be -
6 - prior to Red Dog, you know, we used to go caribou
7 hunting up here Labor Day weekend right up here on the
8 Lower Noatak. You're crossing the river all the way up
9 to the Aggie, the hatchery and so on, they were always
10 crossing the river up to (In Native). You know, us have
11 a lot of knowledge, a lot of our elders are gone, but
12 we still have a lot of elders remaining, and that's
13 where most of your most prized information should come
14 from. You know, it's just flying into a village, and
15 just schedule a meeting with elders and say, hey, how
16 has the last 30 years been with caribou in your guys
17 eyes as subsistence users migration wise. You know, has
18 the food security changed, compared to back then when
19 it was 75,000 head compared to when it was 500,000 head,
20 now to where it's at 133 maybe thousand head? You know,
21 it used to be a lot different here. Once Red Dog Road
22 come, yeah, there was no getting caribou up here at the,
23 you know, from the mouth of the river all the way up to
24 Hugo, Knapp Creek, Aggie, (In Native) hatchery, that
25 whole area there where we used to go hunt. That's where
26 we used to take our Labor Day weekend, now you have to
27 go almost 150, -60 miles away, not even on a Labor Day
28 weekend. Labor Day weekend is just a regular weekend,
29 you know, because that's not when the caribou are moving
30 through anymore. Now it's into October, and you're very
31 limited there because you're at the edge of freeze-up.
32 You know, and like, you know, the biologist said, was
33 caribou do not like to cross in pan ice. They prefer to
34 mingle way back until it either freezes or they could
35 find a opening to swim across. There's been a lot of
36 changes in the last 30-40 years that I have seen. I know
37 not too long ago, I was interviewed by a gentleman on
38 the East Coast, either the college -- I ought to find
39 out who he's with. But he was doing a -- his own
40 subsistence study, he spent the summer here with -- at
41 my brother and -- with my brother, and you know, he got
42 to see subsistence, you know, at hand by being out with
43 us, boating and such. But yeah, it's a dying culture,
44 and you know, a lot of us baby boomers who still can
45 recall back in the day, I know Elmer grew up here, I
46 grew up with Elmer. You know, we used to just go hunting
47 not very far away compared to now, man it's crazy. It's
48 -- you gotta go way up there. And it's beginning to get
49 harder, a lot of people are starting to wait for the
50 winter group of caribou to start coming through, because

000100

1 -- and see, before they closed down the cows, everybody
2 was hammering the cows down because the cow meat was
3 better then, from October to December because of the fat
4 -- and at that time, they have minimal embryos compared
5 to now they have like, full calves in their stomachs.
6 So, every time you kill a cow, now, you know, you're
7 doubling that.....

8
9 (Simultaneous speech)

10
11 MR. KRAMER: So, it's very critical now.
12 And I hope you guys get your guys' funding back. I would
13 probably be getting with Siikauraq and whoever it is
14 that, you know, is the administrator or superintendent
15 here to see if you guys can regain that funding, because
16 that's a very, you know, that's a very serious thing
17 that, you know, that's from our past to our future and
18 I think it needs to continue. These kind of studies
19 should be funded by State, whoever, you know, local
20 government, whatever it may be, to try and see you know,
21 compare to what it used to be in the past. I know that
22 my brother and -- who is our past coordinator? Zach
23 Stevenson. They did a subsistence mapping study over at
24 Northwest Arctic Borough, and they got with so many
25 people from the villages here, you know, everywhere and
26 say, where did you hunt wolves? Here, here, here and
27 they'd circle, circle. And you know, a lot of those
28 places overlapped, and you guys could probably get a lot
29 of information from that. And that's at the Northwest
30 Arctic Borough, I'm hoping that they still have it. But
31 Zach Stevenson, my brother Lance, were the ones that did
32 that study, the subsistence mapping because of the fact
33 that in the future it will help us with preserving
34 certain areas from mining, you know, other issues that
35 we are now starting to face. Thank you.

36
37 CHAIRPERSON BAKER: Elmer, more for
38 justification?

39
40 MR. ARMSTRONG: Yes, just to follow up
41 on Mike's question about subsistence mapping, I don't
42 think up river was done, I think it was Lower Kobuk. And
43 you know, the data they collect, we could use it. It's
44 very important when they do these -- when they come to
45 our meetings and explain the data. Thank you.

46
47 CHAIRPERSON BAKER: More discussion for
48 justification for Elmer's motion to draft a letter?

49
50 (No response)

000101

1
2 Hearing none. All those in favor, please
3 signify by saying aye.

4
5 IN UNISON: Aye.

6
7 CHAIRPERSON BAKER: And those opposed,
8 same sign.

9
10 (No response)

11
12 Hearing none, the motion passes. You can
13 start your presentation now.

14
15 MR. BRINKMAN: Chair, we don't have much
16 more new information to share, but I can address a couple
17 of things that member Kramer shared. If the funding does
18 return, we did budget for key respondent interviews with
19 the ideas is, after we get all this publicly available
20 data assembled and organized, we can then go in and talk
21 to folks with a long history of knowledge and look at
22 what we have, both to validate what we're seeing based
23 on that, but also to help us address some of those holes.
24 And then on the GIS or the -- those maps that have been
25 prepared over years, we were really grateful to ADF&G
26 that they're entering into a data sharing agreement with
27 us to give us access to that information. So, we'll have
28 that as another source to kinda see this not across
29 space, but also what member Pattee said about -- and
30 member Kramer said about timing that's so important too,
31 of course, about how that can affect availability and
32 availability of bulls versus cows.

33
34 I didn't describe it cause I didn't want
35 to get into the weeds. But when we think about
36 availability, you need enough of that animal around to
37 be able to sustain a harvest. So, you need abundance.
38 That animal has to be in the right place at the right
39 time. So, you think about distribution and timing of
40 migration. And then thirdly, you have to think about
41 access, even if that caribou is in the right place at
42 the right time, people still have to be able to traverse
43 the land and get to it, and that's where issues like
44 river ice comes into play. That season of
45 inaccessibility where you're starting to get just enough
46 ice on the river that you can't be on your boat anymore,
47 but it's certainly not safe enough to get across with a
48 snowmachine. That can be really troublesome. So, we're
49 thinking at a deeper level already than what I shared,
50 cause I didn't want to take everybody into a deep hole

1 here. But over time, we can continue these discussions,
2 and I'll keep everybody informed on what Caitlin and I
3 are trying to do here.

4
5 CHAIRPERSON BAKER: Mike.

6
7 MR. KRAMER: Yeah. You know, it's been
8 quite a while since that subsistence mapping, and I think
9 that when you guys do get your funding, start a new one.
10 If there was a difference from back then to now. And I
11 know there's gonna be a big difference, cause right now,
12 food security can't be any more important than it is
13 now, and it was always then. You know, food security
14 here has always been very important, and now with the
15 government going the way it is, you know, it's gonna be
16 at its peak, for us to be able to harvest these animals
17 unhindered. Thank you.

18
19 CHAIRPERSON BAKER: Final questions,
20 comments. Clyde.

21
22 MR. RAMOTH: I think I still have that
23 question I wanted to ask 20 minutes ago, but so the
24 caribou population matrix, subsistence harvest reporting
25 public meeting transcripts. Your guys studies through
26 that 24-25 season for the communities. I see decline in
27 certain areas, but not everybody will report. I think
28 we talked about it yesterday, too, about submitting a
29 honest report of their harvest. But like I mentioned
30 yesterday that the family could get 15, but they're
31 getting like five for each family or clan or whatever,
32 because not everybody have the resources to hunt or the
33 transportation. So, you guys feel comfortable with these
34 data sources. I know it's important in how we get
35 funding, yeah.

36
37 MR. BRINKMAN: Through the Chair. What
38 we're arguing is that any one source of information could
39 probably be improved on, which is why we're gonna look
40 at that from a bunch of different directions, from a
41 bunch of different angles, using a bunch of different
42 sources of information to see where maybe the evidence
43 corroborates. But then if we're seeing big differences,
44 maybe in what we're getting from the minutes or from
45 ADF&G Division of Harvest versus Division of Subsistence
46 versus something else that suggests to us that we might
47 need to think more carefully about how accurate that
48 estimate might be there. And the collar data, of course,
49 will be very valuable as well to let us know where
50 certain animals were. What we don't know is where they

000103

1 were not, since collars are -- of course, there's only
2 100-130 of them, and there's a lot more caribou out
3 there moving around.

4
5 CHAIRPERSON BAKER: Any more questions,
6 comments?

7
8 (No response)

9
10 Hearing none. Thank you for your
11 presentation, we appreciate your time and sitting
12 through all of this. Good luck and hope to hear back
13 from you this fall.

14
15 MR. BRINKMAN: Thank you.

16
17 CHAIRPERSON BAKER: With that we will
18 move on to our next item on the agenda, which will be
19 Dr. Hannah Voorhees with the FRMP update. The floor is
20 yours, Dr. Voorhees.

21
22 DR. VOORHEES: Thank you, Mr. Chair, and
23 members of the Council. Again, my name is Hannah
24 Voorhees, I'm an anthropologist for the Office of
25 Subsistence Management, or OSM. And I'm joined on the
26 phone today with my colleague, Kevin Foley, he's a
27 fisheries biologist with Office of Subsistence
28 Management, and he is standing by to help out and answer
29 any questions you may have. So, first -- actually, I
30 wanted to give you a brief update on the fisheries
31 regulatory cycle. I have three fisheries related
32 updates. So, first, I just wanted to briefly mention
33 that the Federal Subsistence Board met in February, and
34 they acted on all the fisheries proposals and closure
35 reviews that were presented to them. And we expect that
36 the new regulations will be published in the Federal
37 Register either in the spring or summer. But there were
38 no proposals pertaining to the Northwest Arctic region
39 this time around. The next fisheries cycle will begin
40 in winter 2026 at your meeting then. At that time, we'll
41 provide the Council with a list of the closure reviews
42 that will be coming up before you. And you'll be able
43 to put in some new fisheries proposals, if you have any,
44 at that time. So, that's the end of the fisheries
45 regulatory update. Does anyone have any questions?

46
47 (No response)

48
49 If not.....

50

1 CHAIRPERSON BAKER: Continue.

2
3 DR. VOORHEES: Thank you, Mr. Chair. So,
4 next I'll be presenting on Office of Subsistence
5 Management's Fisheries Resource Monitoring Program, and
6 there are no materials for this update. The Office of
7 Subsistence Management administers the Fisheries
8 Resource Monitoring Program, which will often hear
9 referred to as the FRMP, to gather information for the
10 management and conservation of subsistence fishery
11 resources in public waters -- federal public waters. And
12 the Monitoring Program also exists to support meaningful
13 involvement in fisheries management by Alaska Native and
14 rural organizations. And the intent is to promote
15 collaboration between federal, state, Alaska Native and
16 local organizations.

17
18 OSM recently published the Notice of
19 Funding Opportunity for the 2026 Fisheries Resource
20 Monitoring Program, and that means that we're now open
21 for proposals, and the due date for those proposals is
22 May 16th. So, what this means for this Council is that
23 in the -- this past fall, during your meeting, you
24 decided on a list of important research topics that you
25 wanted researchers to look into. And we've now published
26 your topics that you picked, and now we're inviting
27 researchers to suggest projects that will help fill
28 those information gaps and bring information back to the
29 Council, ultimately. So, applications will be reviewed
30 by the technical review committee when they're received,
31 which - we'll then provide summaries of project
32 proposals for your region, and then this Council will
33 have the opportunity to weigh in again. This is the next
34 step of the process where you get a chance to weigh in
35 after creating the Priority Information Needs, you'll
36 be able to comment on each project. So, this concludes
37 my update on the Fisheries Resource Monitoring Program
38 and I'm here for any questions you may have.

39
40 CHAIRPERSON BAKER: Elmer.

41
42 MR. ARMSTRONG: Through the Chair, Elmer
43 Armstrong, Noorvik. I know you're talking about
44 fisheries, but what about the Magnuson-Stevens Act is
45 that state or federal?

46
47 DR. VOORHEES: Kevin, do you have
48 information you'd like to share with the Council on that
49 topic?

50

1 CHAIRPERSON BAKER: Our resident
2 biologist, Bill Carter, in the room raised his hand.

3
4 DR. VOORHEES: Thank you.

5
6 (Pause)

7
8 MR. CARTER: Yeah, Bill Carter, Selawik
9 National Wildlife Refuge. The Magnuson-Stevens Act is a
10 NOAA administrative act, it's about ocean fishing. So,
11 it doesn't necessarily deal with this. The -- yeah, the
12 harvest of groundfish is what it mainly pertains to, and
13 that also means the quotas for bycatch and things like
14 that. So, that's what the Magnuson-Stevens Act deals
15 with. And it created the 200-mile exclusive economic
16 zone for trawlers. So, foreign trawlers can't come into
17 the U.S. within 200-miles of the coastline to fish. So,
18 like Russia or China, they can't come in within that
19 distance to fish.

20
21 MR. ARMSTRONG: Thank you. Just for a
22 follow up. Elmer Armstrong, Noorvik. Does this body have
23 power to send a resolution to NOAA?

24
25 CHAIRPERSON BAKER: This body has sent a
26 letter regarding trawling, at last winter's All RAC
27 meeting. Are you wanting to do something similar, or
28 what are you considering making a motion to write a
29 letter about?

30
31 MR. ARMSTRONG: No, I just wanna have
32 better understanding. Thank you.

33
34 CHAIRPERSON BAKER: So, we are able to
35 send a letter to whoever. It's just -- just need to have
36 that discussion like with everything else of what the
37 intent is.

38
39 (Pause)

40
41 Any more questions? Mike.

42
43 MR. KRAMER: I know earlier we touched
44 up on salmon. I can -- you know, my -- what I see is I
45 would like to see that, you know, that both you guys and
46 Alaska Department of Fish and Game start working on a
47 sonar project on the Kobuk and Noatak. Cause, you know,
48 the main concern is returns, successful escapement for
49 future runs, both subsistence and commercial. And with
50 both of you guys working hand in hand, ensuring that,

1 you know, there is a good escapement, salmon are
2 successfully spawning for future runs. I know that high
3 water plays a pretty serious role in the devastation of
4 some of our roe that are in some of the beds. What I
5 would like to see is eventually, you know during the
6 lowest water time of the year, you know, to maybe go up
7 and go see, you know, where their spawning beds had
8 occurred last fall. I mean, if there was a possibility.
9 Cause that would be very interesting to see if that high
10 water played a devastating role in the hatching of the
11 baby salmon in the streams, and whether they did spawn.
12 And it would be a continuing concern for the next several
13 years cause, you know people in the Yukon can't even
14 subsistence fish for king salmon and such, but they could
15 waste millions of pounds out there in the ocean of crab,
16 halibut, salmon, king salmon, chum, sockeye, reds, you
17 name it. When here we're struggling as subsistence users
18 to put fish in our freezers. There needs to be a line
19 drawn for those federal fisheries to stop this trawling
20 cause it's beginning to affect our subsistence way of
21 life, our food security. And as of now, as the government
22 is going, it's a very serious issue. Food security is
23 priority one. We're gonna start seeing a lot less things
24 on the shelves, produce, meats, poultry, you know, eggs
25 have already gone up. You know, everything is gonna start
26 changing, so it would be good to start ensuring that our
27 future runs of salmon, sheefish, and trout and char are
28 starting to make it up to their spawning grounds
29 successfully. You know, with partnership of the beavers,
30 you know, the beaver dams, beaver lodges in the studies
31 to try and see if we could start looking at possible
32 ways to improve the survivability of these fry, salmon
33 fry, trout, sheefish to ensure that we have future runs.
34 Because right now our subsistence resources are starting
35 to dwindle and we're starting to depend on others, and
36 those are starting to dwindle. Eventually, when we no
37 longer have caribou, moose, muskox are very limited, you
38 know, what are we going to depend on? We only have what
39 we have in the ocean, that's bearded seals, seals. You
40 know, and it's gonna start getting pretty critical as
41 time goes on. You know, with mining and everything
42 encroaching and, you know, hampering the migration
43 process, everything is gonna start being very, very
44 serious and very, very critical for our people for the
45 next 10 to 20 years. It's gonna be interesting to see
46 how the next 10 to 20 years go. Thank you.

47
48 CHAIRPERSON BAKER: Any more questions or
49 comments for this portion of the FMRP presentations?
50

000107

1 MR. FOLEY: Chairman Baker.

2
3 (Simultaneous speech)

4
5 DR. VOORHEES: Through the Chair.

6
7 MR. FOLEY: Hannah, go ahead.

8
9 DR. VOORHEES: Go ahead, Kevin.

10
11
12 MR. FOLEY: Okay. Chairman Baker, yes,
13 I'd like to respond to Councilman Kramer's comments, if
14 I may.

15
16 CHAIRPERSON BAKER: Briefly, please.

17
18 MR. FOLEY: Thank you, Sir. I just wanted
19 to point out that the current funding cycle that we have
20 for the FRMP identifies two of the issues that Mr. Kramer
21 brings forth. That is the changing river conditions and
22 the effects on spawning salmon in the Noatak and the
23 Kobuk River drainages, and the other point about
24 abundance and migration timing of salmon in the Noatak
25 and Kobuk River drainages. Those are Priority
26 Information Needs that are currently identified in the
27 notice of funding opportunity. And I would also use this
28 opportunity to encourage anyone that may be considering
29 applying to look at those PINs in helping us gather
30 information. That's all I have, thank you, Mr. Chair.

31
32 CHAIRPERSON BAKER: Thank you for that.
33 Anything else on this topic? Dr. Voorhees, anything
34 else?

35
36 DR. VOORHEES: I just wanted to mention
37 that there will be a new opportunity for you to look at
38 the Priority Information Needs that this Council has
39 carried forward and make any adjustments that might be
40 needed in fall of 2026.

41
42 CHAIRPERSON BAKER: Thank you. There's no
43 further -- Elmer.

44
45 MR. ARMSTRONG: Yes. Would they be able
46 to compile information pertaining to the Magnuson-
47 Stevens Act moratorium line between Bering Sea and
48 Chukchi Sea.

49
50

000108

1 CHAIRPERSON BAKER: When you say they,
2 do you mean Dr. Voorhees or who are you -- just staff?
3 Who are you hoping to have compile that?

4
5 MR. ARMSTRONG: Yeah, sure. Staff with
6 the fisheries.

7
8 CHAIRPERSON BAKER: Is that something we
9 can make a note of?

10
11 MR. CARTER: That would be a question for
12 NOAA, they would be able to -- this is Bill Carter,
13 again. Yeah, that would be a NOAA question, they could
14 get you that information and the Alaska Fisheries
15 Science Center in Seattle, probably.

16
17 CHAIRPERSON BAKER: So, if we can just
18 have that added to the record to make a request for more
19 information on Magnuson-Stevens Act for Elmer's question
20 for our fall meeting. Sound good? Anything else, Dr.
21 Voorhees?

22
23 DR. VOORHEES: Through the Chair. So, I
24 believe Council Coordination could invite someone from
25 NOAA to present an update to the Council. Thanks.

26
27 CHAIRPERSON BAKER: Verne.

28
29 MR. CLEVELAND: Vern Cleveland. With the
30 fisheries, since the opening of the passage, is there
31 any changes since the -- them ships are going through
32 to the Northwest Passage? And we do any studies on that,
33 on the ships going through the passage?

34
35 MR. CARTER: This is Bill Carter, again.
36 I'm pretty sure that there's still a moratorium on
37 fishing above the Diomedes you know, commercial fishing
38 above that. That again would be a NOAA question, but
39 that was in effect for a while. As far as shipping, just
40 transiting through there I don't think there's been any
41 studies on that, on any effects of that, on fish
42 migrations.

43
44 MR. CLEVELAND: Or shipping or lead from
45 Red Dog, nobody does any studies on that, any droppings
46 on the river, I mean, on the ocean, they dump anything
47 on the ocean or anything?

48
49 MR. CARTER: That would probably be a
50 question for some -- for an oceanographer from UAF. There

1 are other -- there are regular studies on oceanography,
2 currents, plankton, whales, all kinds of other things,
3 you know, in the Chukchi and Bearing -- the Chukchi and
4 Beaufort Sea. So, that would be a question for an
5 oceanographer on one of those cruises, probably on the
6 Sikuliaq, the UAF boat, so.

7
8 MR. CLEVELAND: I want to join that
9 committee. Thank you.

10
11 CHAIRPERSON BAKER: Any further
12 questions?

13
14 (No response)

15
16 Hearing none. Thank you, Dr. Voorhees.
17 We will -- and Mr. Foley and Mr. Carter. We will move
18 on to the next item on the agenda, which will be the
19 Northwest Arctic Dolly Varden Population Study. Yes, Dr.
20 Voorhees.

21
22 DR. VOORHEES: Thank you, Mr. Chair.
23 There's one more brief update for you under this item.

24
25 CHAIRPERSON BAKER: By all means.

26
27 DR. VOORHEES: All right. Again, this is
28 Hannah Voorhees. So, my next up and last update is on
29 the Partners for Fisheries Monitoring Program. The
30 Partners Program, as we call it, is a competitive grant
31 for Alaska Native and non -- excuse me, rural non-profit
32 organizations to strengthen Alaska Native in rural
33 involvement in Federal Subsistence Management by
34 providing salary funds to organizations so they can hire
35 a professional biologist, or social scientist or
36 educator. And the funds can also be used for science and
37 culture camps, and paid student internships. OSM
38 recently published the notice of funding opportunity for
39 this program as well, with the same due date that is May
40 16th. And application information and supporting
41 materials for both the Partners for Fisheries Monitoring
42 Program and the Fisheries Resource Monitoring Program
43 are available on OSM's website. And that is a
44 doi.gov/subsistence/partners in the case of the Partners
45 Program. And you can also contact Jarred Stone or Liz
46 Williams for more information about this program and
47 their contact information is on the Partners webpage if
48 anyone is interested. And that concludes my updates,
49 thank you.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

CHAIRPERSON BAKER: Thank you for that.

I'm sorry for cutting you off a little prematurely. Any final questions for Dr. Voorhees?

(No response)

Hearing none. Thank you. We will now move on to the -- item L, which is the Northwest Arctic Dolly Varden Population Study. Joe Spencer and Brendan Scanlon, are either of you on the line and available?

MR. SPENCER: Yes. Thank you, Mr. Chair. While I pull up the presentation, I think Brendan has something to share at the beginning of this.

MR. SCANLON: Thanks, Joe. Once again, this is Brendan Scanlon, Northwest and North Slope Fisheries Biologist for Fish and Game out of Fairbanks. I'm sorry I missed this morning conversation. I understand that there was some talk about sheefish, and I just wanted to go back just a little bit to tell you what we know and what we're planning to do. There was a Fish and Game Advisory Committee meeting in Kotzebue a couple weeks ago, and we talked a lot about chum salmon, we talked a lot about sheefish, too. I think we are all concerned about the harvest that's going on. Seems to be going up and up, and a lot of fish are getting shipped out of Kotzebue right now, and we don't have a measure of harvest. The subsistence fishery is unregulated, there's no harvest reporting requirements, no limits. The sport fishery has a bag limit of ten, but we have very poor data on -- from our statewide harvest surveys. So, we're concerned particularly with the crash of the chum salmon, how that's going to affect the sheefish populations. There seems to be a lot of fish around right now, fishing seems to be really good. Now is the time to maybe get a handle on this. And I appreciate Dr. Voorhees introducing the notice of funding opportunity, we saw that yesterday. The Department is planning to submit a proposal to run a sonar to count spawning sheefish upriver on the Kobuk, they spawn in a -- about a 40-mile stretch of the main stem, where the Pah -- is about the epicenter of -- the Pah River. We are going to use sonar for three years to count fish moving in. And we've tried this before, but we got the -- we -- our project was designed to count fish moving out after they finished spawning, and that was fraught with high water and ice, and it -- out of four years, we only got one really good count of spawning fish and it was about

1 35,000 fish, I think, in 2018. And that's the most recent
2 stock assessment data we have for sheefish and like I
3 said, we have no harvest information. So, we're gonna
4 start this project, hopefully if we get funding through
5 the FRMP, it'll start going on the water 2017 for three
6 years. In addition to counting sheefish we will also
7 count the chum salmon that go by. I feel comfortable
8 that we'll be able to do this because we can measure
9 length on these sonar outputs and the largest chum salmon
10 is probably about the size of the smallest spawning
11 sheefish lengthwise. So, we can find a good length cutoff
12 to say that everything below this is chum salmon and
13 everything above it is sheefish. So, yeah, I just wanted
14 to mention that.

15
16 And also, during the Fish and Game
17 Advisory Committee, we talked about proposals for Board
18 of Fish regulations. The Board of Fisheries is meeting
19 this fall. Proposals are due in April, and the Kotzebue
20 Advisory Committee did submit one proposal to remove the
21 commercial fishery limit of 25,000 pounds. So
22 essentially, they would like to limit the commercial
23 fishery for sheefish. The quota is up to 25,000 pounds,
24 it hasn't -- I think, got close to that ever. But it's
25 pretty low hanging fruit, probably makes sense not to
26 have a commercial fishery if we're gonna be worried about
27 the health of a population. So, just wanted to pass that
28 along and thank the FRMP for funding opportunity, and
29 I'll turn it over to Joe. Thank you.

30
31 MR. SPENCER: Awesome. Thank you,
32 Brendan. Can you guys see the screen?

33
34 CHAIRPERSON BAKER: Yes, we can.

35
36 MR. SPENCER: Awesome, thank you.
37 Alright, well, thank you, everybody, for letting me
38 present some of the results of this project that's been
39 going on for a while. My name is Joe Spencer, I'm a
40 fishery biologist with the Alaska Department of Fish and
41 Game in Fairbanks, and I'm also a graduate student in
42 the fisheries department at the University of Alaska
43 Fairbanks. And I'm here to talk about a joint project
44 between Fish and Game and the U.S. Fish and Wildlife
45 Service and UAF, where we're looking at the life history,
46 migrations and stock mixing habits of dolly varden
47 populations in northwestern Alaska. And this project was
48 funded through the FMRP with the Office of Subsistence
49 Management.

50

1
2 All right, so, the Priority Information
3 Need that we are addressing with this project is the
4 need to document changes in species composition,
5 abundance and migration timing, especially in dolly
6 varden and whitefish species in the Northwest Arctic to
7 address changing availability of subsistence fishery
8 resources. So, dolly varden, which are also known as
9 trout, are one of the most important subsistence fish
10 resources in the region. But there are still
11 considerable knowledge gaps about general life history,
12 characteristics, and migratory habits of the fish. So,
13 the objectives for this project were to characterize the
14 age at length, the age at first seaward migration, the
15 frequency of seaward migration and overwintering
16 locations of the dolly varden in Northwestern Alaska.

17
18 So, I'll start us off by giving a brief
19 overview of what we already know about dolly varden life
20 history in this region. So, like salmon, dolly varden
21 spawn and rear in freshwater. They rear in the river for
22 two to five years, and then they begin migrating to the
23 ocean every summer. And once they begin migrating to the
24 ocean, they'll do so most years, with the exception that
25 they may skip the year that they spawn. So, they might
26 not out migrate the year that they spawn, they'll just
27 hang around in fresh water and spawn later that fall
28 rather than go to the ocean. But there are a couple of
29 important differences between dolly varden and salmon
30 that affect their management, and one of them is that
31 they have the ability to spawn multiple times, so some
32 of these dollies will spawn four or even five times. And
33 another is that they do not spend winters in the ocean,
34 so they're found in nearshore and freshwater habitats
35 every year. And because of that, they're susceptible to
36 harvest from humans every year as well, every spring and
37 fall and winter, so,

38
39 The ocean is too cold for them to
40 survive during the winter and so, every fall they return
41 to one of several large rivers in Northwestern Alaska
42 to overwinter in. And dolly varden from many different
43 stocks across the region will congregate in one of these
44 rivers to overwinter in. So, we do not know if they
45 display particular fidelity to overwinter in rivers. But
46 previous tagging studies have shown that there's quite
47 a bit of interchange between rivers among years. So,
48 these overwintering habits create a situation where
49 people are fishing on mixed stock aggregations of dolly
50 varden. So, how often these dollies migrate to the ocean,

1 as well as which river they overwinter in each year
2 determines how often they're encountered in the
3 fisheries and which fisheries they are encountered in.

4
5 So, this is a map that shows the major
6 overwintering and spawning areas for dolly varden in
7 Northwestern Alaska. Spawning areas are highlighted in
8 purple, they're in the mountainous tributaries and
9 mostly of the Noatak River tributaries, and also, the
10 Wulik and Kivalina Rivers. And then the overwintering
11 areas are highlighted in yellow, and these are the lower
12 sections of the Noatak and the Wulik and Kivalina Rivers.
13 There some dollies that spawn in the Kobuk River
14 tributaries as well, but these are the main spawning
15 populations in the region. So, this map shows the areas
16 that we collected dolly varden samples for this project.
17 Spawning areas that we sampled are highlighted in these
18 purple boxes and include major spawning tributaries of
19 the Noatak, and also, the Wulik and Kivalina Rivers, the
20 headwaters. And subsistence and commercial fisheries
21 that we collected samples from are highlighted in the
22 yellow boxes and included fish from the spring ice
23 fishery in Noatak, the early summer fishery in Kivalina,
24 and bycatch from the commercial salmon fishery in
25 Kotzebue. So, for the migration analysis, we had a goal
26 of sampling 50 fish from each spawning area and fishery,
27 and we were able to accomplish that in most of the areas
28 here.

29
30 So, for this project, the samples that
31 we collected from dolly varden include genetics and ear
32 bones, which we can use to look at their migration, as
33 Kevin Fraley talked about earlier in a different
34 presentation. So, we collected samples from seven major
35 spawning areas from subsistence harvests and from
36 commercial harvests. And these are just some pictures,
37 we were able to travel to Noatak in April a couple of
38 times and work with folks catching fish through the river
39 ice and get samples from them. And then in Kivalina,
40 subsistence fishers were willing to provide samples from
41 the spring harvest in 2022.

42
43 So, as I mentioned in the previous
44 slide, we're using a microchemical analysis to determine
45 the migration history of the dolly varden. And so, like
46 Kevin said in a previous presentation, otoliths are the
47 small ear bones of a fish, and as they -- as the fish
48 grows, they grow. And so, we can use these otoliths to
49 track their movements over time. What we do is we run a
50 thin section of the otolith through a machine that

1 collects microchemical signatures across a transect that
2 we draw across the otolith and it measures the elements,
3 the chemical elements inside the otolith. And these
4 elements are present in different levels in the physical
5 environment, in waterways. And so, when a fish moves
6 between different water bodies with different
7 chemistries, we can see that in the fish's history in
8 their otolith. So, for example, the ocean has a much
9 higher concentration of the element strontium than the
10 freshwaters do, so when a fish goes to the ocean, the
11 level of strontium is much higher in that part of the
12 otolith. So, in this picture here, this is a picture of
13 a thin section of the otolith that we ran for
14 microchemistry. And the concentration of strontium is
15 the orange dots with the blue line through them. And the
16 white vertical bars are the winters of the fish's life.
17 And so, in this particular fish, the strontium
18 concentration didn't change much for the first three
19 years of its life. And then in the fourth year, it
20 migrated to the ocean for the first time. And you can
21 see the strontium concentration went way up, and so this
22 fish spent three years in the river, and then in its
23 fourth summer, it migrated out to the ocean, it made
24 three ocean migrations, and then we captured it on the
25 spawning grounds when it was seven years old. And that
26 was probably when it was on its first spawning run. So,
27 we did this to several hundred dolly varden.

28
29 Now I'll begin going over some of the
30 results from this research. These are plots showing the
31 age at length of the fish that we analyzed, so basically,
32 what this is showing is that larger fish in the
33 populations are older. Most of the fish appear to spawn
34 for the first time at age six or seven. And most of the
35 fish that we captured in spawning areas were on their
36 first spawning run. So, most of the adult-sized fish in
37 the population are six or seven years old, and the fish
38 that are eight and older tended to be fish that appear
39 to have spawned at least once. So, the oldest fish that
40 we observed in this study were 11 years old. Although
41 we know that in this region they can live as old as 13
42 or 14, although we didn't actually see any of those old
43 fish in our sample.

44
45 These plots show the ages at which fish
46 from these different spawning populations went to sea
47 for the first time. So, each group of bars is a different
48 spawning river, and so going to the ocean for the first
49 time is referred to as smolting, and that's what that
50 age of smolt refers to. So, the fish that's smolted in

1 their third summer dominated all spawning areas, but
2 there were some differences between populations.
3 Notably, the Kivalina and Wulik Rivers had a higher
4 proportion of fish that smolt at -- in their second
5 summer versus some of the tributaries of the Noatak,
6 like the Kelly and the Nimiuktuk, had a higher proportion
7 of fish that didn't leave until their fourth summer. So,
8 smolting is often tied to fish size and condition, and
9 it may be that juveniles grow slightly faster maybe in
10 the Kivalina or Wulik Rivers versus the Noatak River
11 tributaries.

12
13 So, this is kind of a complicated plot,
14 but I'll try to break it down so that it's simple. This
15 graph shows the number of times that the fish in our
16 samples had gone to the oceans in their lifetime. So,
17 these are all spawning populations. So, for example, the
18 topmost bar, which are spawners that were captured in
19 the Wulik. Most of the fish in that sample had gone to
20 the ocean four times, which is that blue colored bar.
21 However, most of the other rivers were dominated, or
22 many of the other rivers were dominated by fish that had
23 gone three times, the Kivalina was also dominated by
24 fish that had gone four times. And only around 5% of the
25 fish that we sampled had gone to the ocean more than
26 five times, although we did have a few fish that went
27 to the ocean seven times, and we had one that went nine
28 times. And this plot is showing basically the same data
29 as the previous slide, but the number of ocean migrations
30 is plotted by the overall age of the fish. So, it's
31 showing that older and larger fish are expected to have
32 gone to the ocean a greater number of times, which is
33 to be expected. Older fish in our sample were also more
34 likely to be fish that smolted at older ages.

35
36 So, this graph is showing the proportion
37 of fish in each spawning population that appeared to
38 spend their first winter in the Noatak River. So, what
39 this is showing is that very few fish from the Wulik or
40 Kivalina Rivers appeared to use the lower main stem in
41 Noatak as an overwintering area in their first winter,
42 or perhaps throughout their entire lives. What's
43 surprising is that less than half of the fish from the
44 Noatak River tributaries appeared to use the Noatak
45 River as their first overwintering spot. So, in other
46 words, it appears that most of those fish spent their
47 first winter in another river, presumably the Wulik or
48 Kivalina, it's hard to say exactly, but it doesn't appear
49 that they spent it in the lower Noatak. Another
50 interesting finding is that the fish from the Kivalina

1 subsistence fishery, which is a mixed stock, that's the
2 green bar here, appeared to have proportions that are
3 closer to those of Noatak River tributary spawners. And
4 that's probably because a considerable proportion of the
5 fish captured in that Kivalina Village fishery are
6 actually from the Noatak River tributaries, and they're
7 just overwintering in the Wulik and can get captured on
8 their way out.

9
10 So, in conclusion from these results,
11 we know that dolly varden populations in Northwestern
12 Alaska are composed of many different age cohorts and
13 life history strategies. Age at first ocean migration
14 was similar among populations, but there are some
15 differences which may be related to things like juvenile
16 growth. Most of the fish spawn or skipped at least one
17 ocean migration, likely in the years that they spawned.
18 And that's to say that most of the fish in this region
19 appear to display -- it's a fairly unique migration
20 pattern where they spend long periods of time in fresh
21 water without feeding during their spawning migration.
22 So, these fish will spend about 21 months without feeding
23 when they make their spawning migrations, which is
24 pretty incredible. Spawning populations are composed of
25 many repeat spawners, so a minimum of 29% of spawning
26 fish in our sample appeared to be repeat spawners. I
27 think this is an important conclusion to emphasize,
28 because it's been shown in other fish populations that
29 older and larger spawners can contribute an outsized
30 proportion of like -- of spawning biomass and
31 recruitment. And so, this is something that when folks
32 are fishing the Noatak River in the winter, oftentimes
33 you'll catch skinny, darker colored trout. These are
34 fish that spawned in the previous summer and as soon as
35 the ice goes out, they're gonna go back out to the ocean
36 and feed heavily. And so, these fish, if they survive
37 and spawn again, are very important to the population
38 and they're not as good eating cause their body condition
39 is very low from having previously spawned. So, these
40 are fish that might be worth putting back due to that.
41 And fish also appear to move frequently between the
42 rivers for overwintering as evidenced by the fish from
43 the Noatak River tributaries not overwintering in the
44 lower Noatak. And this just emphasizes how
45 interconnected the populations in the region are, and
46 how fish harvested from any one of the fisheries in the
47 region could have oriented or originated from far away.

48
49 I'm not gonna spend too much time on
50 this, cause Dr. Michael Carey did a great job on this.

1 But these are photos taken from one of our spawning
2 tributaries that we had intended to collect fish from,
3 and we were unable to. We hiked up this creek, and
4 historically, they were spawning dolly varden here. But
5 we did not observe any and possibly because it's
6 compromised by the seeps, it's hard to say, but we were
7 not able to capture any fish. So, it's a concerning
8 trend and the status of the populations in these rivers
9 that are heavily affected by the seeps are uncertain.

10
11 And I'll just end this with an update
12 of the yearly fall aerial surveys for overwintering
13 dolly varden in the Wulik. So, this past year, aerial
14 counts were conducted in early October, and there was
15 about 46,000 overwintering dolly varden that they
16 counted. This year's count was a bit below average. Last
17 year's count was the lowest on record, which was
18 concerning at the time, but biologists think that maybe
19 more fish may have entered the river after the count
20 ended because fishing was reported to be fairly good in
21 Kivalina the following spring. So, it doesn't -- it
22 didn't appear from the fishery that there was a lack of
23 fish in the Wulik that winter. So, there are also several
24 sections of the Wulik that are affected by these mineral
25 seeps that have impeded some of these aerial accounts
26 in the past few years. So, I wanna just thank OSM for
27 funding this project and this is a list of folks that
28 helped us, this was a big effort, and everybody's help
29 was very appreciated. And if we have time if anybody has
30 any questions or comments, we'd be happy to hear them
31 either now or in -- via these emails listed here. Thank
32 you.

33
34 CHAIRPERSON BAKER: Thank you for that.
35 Elmer, do you have something?

36
37 MR. ARMSTRONG: Through the Chair, Elmer
38 Armstrong from Noorvik. I look on the map and you have
39 Wulik, do you -- do any tributaries that branch off the
40 Wulik, like I think there's one creek that's called
41 Tutak.

42
43 MR. SPENCER: Yes. Thank you, Mr.
44 Armstrong. Several of the fish that we collected in the
45 Wulik River, the spawners that we collected in the Wulik
46 River, were collected from the lower few miles of Tutak
47 Creek, yeah.

48
49 MR. ARMSTRONG: Thank you.

1

2

CHAIRPERSON BAKER: Any other questions,
comments? Mike.

4

5

MR. KRAMER: Yeah, I know in -- this is
Councilman Kramer. I know in the past you guys had
satellite data. Do you guys still have satellites on
them? And if so, has any of them spent time in Russian
rivers? You know, in their -- some of their tributaries.
And is there any long-term concern about maybe declining
salmon due to beavers? And like you said, some of these
streams where they used to be trout and stuff, and there
is no more trout or char or dolly varden in these
tributaries that used to be there. And if so, what was
the causes of them not being there? Did you guys take
water samples, see if there's any type of contaminants
in the area due to global warming and such?

18

19

MR. SPENCER: Thank you for the comment,
Mr. Kramer. As far as the tributaries that we observed
on the ground, that historically had fish that we didn't
observe any in, you know, we -- at the time we weren't
very familiar with this seep phenomenon, and we kind of
encountered it on the ground, and we didn't take any
water quality samples. But at the time, which was August
of 2022, the water quality in those tributaries was
considerably impeded. So, you know, it's really hard to
say if there were no fish or if we just couldn't see
them. Just because the clarity of the water was poor,
but there was a lot of -- as Michael Carey talked about
in an earlier presentation, there was a lot of
precipitate on the rocks, and it just didn't look like
a good place for fish to be hanging out. And then as far
as the satellite tags, that was a project that was done
about ten years ago, and we -- no fish in Northwestern
Alaska have been tagged with satellite tags since that
time. There have been on some other projects on the
North Slope with similar dolly varden populations that
have been satellite tags since then and in Arctic Canada
as well. And yeah, in that one study, there was a fish
that may have gone to Russia. It's hard to -- the authors
aren't 100% sure that that is what happened, but they
suspect that it is what happened but from previous tag
returns back in like the 1980s there were several fish
tagged in Northwestern Alaska that ended up going over
to Siberia. And we just don't know how often that
happens, but yeah. So, to answer your question, we don't
have any satellite tags out right now.

49

50

CHAIRPERSON BAKER: Elmer.

1

2

3 MR. ARMSTRONG: Through the Chair, Elmer
4 Armstrong, Noorvik. So, when you collect data from these
5 fish, do you check for metals? Because two to three
6 years ago, we had a big storm that came through and
7 dumped a lot of water all over and released a lot of
8 natural minerals. Thank you.

8

9

10 MR. SPENCER: Thank you, Mr. Armstrong.
11 So, with these particular fish, we did not test for
12 metals. However, in the Wulik River, the Alaska
13 Department -- the Alaska Division of -- sorry, the Alaska
14 Department of Fish and Game Habitat Division, they
15 collect samples every spring and fall of fish in the
16 Wulik River, and they test those fish extensively for
17 metals. And I don't have those results on me immediately.
18 But I'm not sure if they have had any spikes in any
19 recent years, but they keep track of that every spring
20 and fall and they've been doing that for quite a while
21 now.

21

22

23 MR. ARMSTRONG: Thank you.

23

24

25

26 CHAIRPERSON BAKER: Final questions or
27 comments on this topic? Tristen.

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

MR. PATTEE: Through the Chair, Tristen
Pattee here. Brendan and Joe, I heard earlier that you
-- there was a proposal made to remove a commercial
fishery of the 25,000 pounds. Is that something that you
need support from this group? And then was there another
project that you mentioned, something about the sonar?
Basically, I'm asking if there -- what letters of
support, if you need them from us, what would it be?

UNIDENTIFIED: Sure, Mr. Pattee. The
proposal to eliminate the commercial quota was submitted
by Alex Whiting, and he may want a letter of support.
That was not a Fish and Game proposal, that was submitted
by him. Letters always help, and if someone can actually
be at the meeting during public testimony on the first
day or two to speak to this proposal, it'll be in
Fairbanks. I know it's not easy for everybody to get
down there, but that also really helps. But sure, a
letter of support would help that proposal go a long
way. The Department will be neutral on it, so we're not
gonna weigh in on either way. We'll provide staff
comments to the Board, but we officially don't have an
opinion on that. And I'm sorry, what was your question
about the sonar project? You want some more detail?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

MR. PATTEE: No, I just thought you may -- I thought you mentioned there was FRMP funding, and then maybe you could use some support from us for that application.

UNIDENTIFIED: 100%, yeah, that'd be great. These things always do better when we have support from the subsistence users. I forgot to mention that Helen Cold with Division of Subsistence, I spoke to her yesterday, and she and I are interested in also having kind of a creel survey of the winter fishery. We did this about 20 years ago where we would have a local hire, and a Fish and Game person just go out on the ice and talk to people and see what they're catching and take some measurements and ask them how they feel that the fishery is going. And that would -- could be the first step for us of getting handle on the harvest. So, she could probably use a letter as well, but I can -- yeah, I'll get back to you when these proposals get written, and you can take a look at them and see if you still support them, but I'd really appreciate it. Yes, thank you.

MR. PATTEE: Through the Chair. Okay, so there's three. So, would you mind just telling me -- just so I can write these down before I make the motion, so I can write them down so I can explain what they are, just a quick title of what they are.

UNIDENTIFIED: Sure, the first one is the Board of Fisheries proposal, written by Alex Whiting, to eliminate the commercial quota. So, that letter could be addressed to the Board of Fisheries. And I could send you the link to their website with the information.

MR. PATTEE: Okay, Board of Fish proposal to eliminate the quota. Okay, got that one. What's -- what was the second?

UNIDENTIFIED: The next one would be to the OSM, the FRMP program coordinator. I guess that would be Dr. Voorhees there, supporting our proposal to use a sonar for three years to count sheefish and chum salmon going by -- essentially by Kobuk Village, they all -- the sheefish spawn above that, but we count chums as well. So, yeah, supporting a three-year sonar project to essentially count sheefish.

MR. PATTEE: Okay, and the last?

1
2 UNIDENTIFIED: The third one would be
3 kind of a harvest survey of the winter fishery for
4 sheefish and Kotzebue Sound. And I'm not positive Helen
5 is gonna submit that proposal, but we talked about it
6 yesterday and she sounded very interested, and I hope
7 she does. So, that would be harvest monitoring of the
8 winter sheefish subsistence harvest in Hotham Inlet.

9
10 MR. PATTEE: Through the Chair, Tristen.
11 Thank you.

12
13 UNIDENTIFIED: Thank you, I appreciate
14 it.

15
16 MR. PATTEE: Okay, for the first motion.
17 I propose to write a letter of support for -- to the
18 Board of -- or I put BOF proposal to eliminate the quota.

19
20 CHAIRPERSON BAKER: Motion made by
21 Tristen. Is there a second?

22
23 MR. RAMOTH: I'll second that motion.

24
25 CHAIRPERSON BAKER: Seconded by Clyde.
26 Discussion, justification?

27
28 MR. PATTEE: Through the Chair, Tristen
29 Pattee. Justification is to eliminate the quota, just
30 in case the possibility -- to not take away any
31 opportunities for these fisheries to extend the --
32 extend past that quota.

33
34 CHAIRPERSON BAKER: To clarify, that's a
35 commercial quota, correct?

36
37 MR. PATTEE: Yes.

38
39 CHAIRPERSON BAKER: Further discussion.
40 OSM staff, is there enough on the record? All those in
41 favor of this letter drafting, please signify by saying
42 aye.

43
44 IN UNISON: Aye.

45
46 CHAIRPERSON BAKER: Those opposed, same
47 sign.

48
49 (No response)

50

1
2 Hearing no opposition, will draft that
3 letter. Tristen.

4
5 MR. PATTEE: Through the Chair Tristen
6 Pattee. I move to propose a -- to write a letter to the
7 OSM to support the -- support their project to -- for
8 the FRMP, to -- for the sonar for the three years near
9 the Kobuk, Village of Kobuk.

10
11 CHAIRPERSON BAKER: Motion made by
12 Tristen. Is there a second?

13
14 MR. RAMOTH: I'll second.

15
16 CHAIRPERSON BAKER: Seconded by Clyde.
17 Discussion for justification.

18
19 MR. PATTEE: Through the Chair, Tristen.
20 Justification would be for knowledge for the local
21 source.

22
23 CHAIRPERSON BAKER: And we can also note
24 that in earlier discussions, we have supported more
25 studies, more research use of sonar on and on. Staff,
26 is there enough in the transcript? All those in favor
27 for this proposal, for this letter, please signify by
28 saying aye.

29
30 IN UNISON: Aye.

31
32 CHAIRPERSON BAKER: Those opposed, same
33 sign.

34
35 (No response)

36
37 Hearing no opposition. We will draft
38 that one. For the third one, would it be appropriate to
39 do a letter since it's not been -- nothing's been
40 submitted yet. I don't know if that might be something
41 we could bring up in the fall meeting.

42
43 MR. PATTEE: Yeah, through the Chair. I
44 think that would be more appropriate once they have
45 something really going. Once she decides that she's
46 gonna do the project.

47
48 CHAIRPERSON BAKER: Thank you for that,
49 Tristen. Joe and Brendan, did you have any final
50 comments?

1
2 UNIDENTIFIED: I do not. Thank you,
3 Chair.

4
5 UNIDENTIFIED: Through the Chair. Maybe
6 just a quick one on the satellite telemetry project.
7 That was a great project. One thing that keeps us from
8 doing that more often is those tags are -- I think
9 they're \$5,000 now, and it's several thousand dollars
10 to evaluate the data from each tag. But we did learn a
11 lot. And like I said, I wish we could do more of that
12 stuff, but it gets really expensive. Thank you.

13
14 CHAIRPERSON BAKER: All right. Well,
15 thank you for that. We have covered everything for the
16 FRMP portion. We do have a member of the public who
17 would like to address the Council. Brent.

18
19 DR. VICKERS: Sorry, this is Brent
20 Vickers, OSM. And this might just be for general
21 knowledge. So, for the FRMP and letters of support, when
22 the proposals are gonna be submitted soon, and with those
23 proposals, we start the rating -- start rating them when
24 they -- get a committee together and rating them, and
25 they should have the letters of support with them during
26 that rating process. So, writing it in your fall meeting
27 unfortunately, is too late for letters of support to
28 really get in that evaluation. I'm not saying you should
29 write that letter that you were talking about now. I
30 just want you to like, kinda for future purposes, to
31 know that it is kinda bad timing cause you would like
32 to see those things, but because of how the Council
33 meetings scheduling works and the FRMP, this would be
34 the time for those, so. But we do have good letter, you
35 guys have it written. But I just want to let you know.
36 Thank you.

37
38 CHAIRPERSON BAKER: Thank you for that
39 Brent. Good, from the Council on that one? So, with
40 that, Mr. Ray, if you'd like to come up to the table and
41 put your name on record, we do have a member of the
42 public who would like to address the Council on a non-
43 agenda item. The topic being the three-mile corridor
44 regarding fisheries, which I know you and I have spoken
45 about personally previously. Give you five minutes on
46 the clock. But if you could state your name for the --
47 press the button, state your name for the record, and
48 then we can go from there.

49
50

1 MR. RAY: Yeah, my name is John Ray. Been
2 a resident here for 45 years, been commercial fishing
3 since '83. And now I'm, you know, trying to get a
4 commercial crabbery [sic] going here locally, and you
5 know, it's up and down the coast. And it seems like
6 every time Kotzebue people commercially, you know, in
7 the fishing industry, every time we try and do something,
8 there's something that's blocking our path. You know,
9 we didn't get on the CDC program, we didn't -- we're
10 just always looked at like we're too small or something
11 like that. I don't know how to explain it. And I'm
12 shooting from the hip here because I didn't plan on
13 coming down here and speak 'til I heard this meeting on
14 the radio. So, what I came down here for was to see what
15 we could do to get the three-mile corridor changed.
16 That's imposed on us only in the State, no other place
17 in the State is this imposed on. My understanding, it
18 runs from Barrow all the way down to Wales, if I'm not
19 mistaken. Why that is, I've got no idea, I'm assuming
20 maybe because of the oil industry they didn't want
21 anything commercial offshore. I don't know, but that's
22 what I'm assuming.

23
24 So, now getting into commercial
25 crabbing, I'd like to see that changed so that, you
26 know, in order for me to commercially crab, I was told
27 years ago when we did the crab study up here, everything
28 had to be two miles offshore and then out, and now it's
29 a three-mile corridor. We can't go beyond three miles.
30 So, if I've only got one mile to commercial crabbing,
31 doesn't make sense. And I don't know if it means to
32 shore nowadays since they changed that corridor to the
33 three-mile limit. But at any rate, I'd like to see that
34 changed and get some clarification on it.

35
36 Also, on our commercial crabbing. Like,
37 Nome has got I think it's around 600,000-pound quota.
38 We immediately get a 10,000 pound quota placed on us.
39 I've got no wonder, you know and all -- I called Kevin
40 Clark down in Nome. And he says, well, we need numbers
41 in order to establish a quota. And I said, well, you
42 just put a quota on us at 10,000 pounds, I said, why is
43 -- why are we only limited to 10,000 pounds? I can
44 probably fill a 10,000-pound quota in a few weeks,
45 myself. In the amount of time that I go out there. So,
46 and he says, well, we need the numbers for data, and I
47 said, well, how are you gonna get numbers for data if
48 you throw 10,000 pounds out there? Okay. So, this is
49 what we're up against. We're up against every arrow
50 coming at us, you know. And I don't understand why

1 Kotzebue Sound gets treated this way. And I'm just gonna
2 say, as far as our commercial season goes and our -- on
3 salmon and I'm seeing as I'm sitting here -- as far as
4 our salmon goes, they put -- they restricted us two
5 years ago to -- and this was Nome biologist down there,
6 restricted us to the amount of time we could fish, the
7 amount of fish we could catch. And I realized everything
8 goes out by aircraft. But they said that we didn't get
9 salmon, I know we didn't last year, you know, nobody
10 even fished, really. But the year before we were -- we
11 had this low quota -- or not a quota, but we had a low
12 incoming of salmon also. That's not true. The amount of
13 hours we fished, I kept track of how many fish I caught
14 per hour per day, and I caught just as much fish as I
15 did the two seasons before, which was a lot of fish. So,
16 it was -- the data that they had was bogus as far as
17 that goes. And I keep track of that stuff real close so,
18 I know. And anyway, that's about all I got to say, unless
19 you got question for me.

20
21 CHAIRPERSON BAKER: Thank you, John, does
22 anybody have any questions? I will say that this -- the
23 three-mile issue and the quotas that we're discussing,
24 these are mostly State issues. Us being an Advisory
25 Council to the Federal Subsistence Board, there's not a
26 lot we can do. We can send a letter to the State AC that
27 met a couple weeks ago. That's kind of more their thing
28 of dealing with the State waters and the State, and the
29 folks out of Nome and the Fish -- Department of Fish and
30 Game. But is there any discussion? Tristen.

31
32 MR. PATTEE: Through the Chair, Tristen
33 Pattee. So, what I'm gathering here is you're being --
34 the hurdles are the three-mile corridor within three
35 miles from Kotzebue inwards, which is from what I saw,
36 it was pretty shallow. I don't see how you can really
37 crab very much, and within that three miles, those
38 hurdles are being put on you for the State. But yeah, I
39 mean, I still see that a letter from this group, you
40 know, to whoever's creating these barriers for someone
41 that's trying to be an entrepreneur, make a living and
42 within his home. And, I mean, I think it's very important
43 that we could support him in some way, even if it's just
44 a minimal impact, at least it's an impact, you know. So,
45 I really feel that we can send something to help out
46 this potential industry here.

47
48 CHAIRPERSON BAKER: Elmer.

49
50

1 MR. ARMSTRONG: You know -- through the
2 Chair, Elmer Armstrong, Noorvik. I know when I talked
3 to one of the locals, you know why wasn't Kotzebue
4 involved with this CDQ? And. You know, I brought up
5 earlier talking about the moratorium line set between
6 the Bering Sea and the Chukchi. But, you know, my
7 question, why was -- why wasn't Kotzebue involved when
8 they were making CDQ? Thank you.

9
10 CHAIRPERSON BAKER: Questions,
11 discussion? Tristen.

12
13 MR. PATTEE: Through the Chair, Tristen
14 Pattee. So, who put these barriers on? Do you know? The
15 -- someone mentioned the AC.

16
17 CHAIRPERSON BAKER: It wouldn't be the
18 AC necessarily, but basically State Fish and Game. Is
19 that correct, OSM staff? Essentially, it's the State
20 side, it's not a federal thing. So, you would address
21 if we were to send the letter would be to the
22 Commissioner of Fish and Game, the Board of Fish,
23 Kotzebue AC.

24
25 (Pause)

26
27 MR. PATTEE: Through the Chair. Yeah. Can
28 you just - when I make the motion, can we use the on
29 record statement I just made for -- to write this letter?

30
31 CHAIRPERSON BAKER: Go for it.

32
33 MR. PATTEE: Okay. Tristen Pattee. I
34 moved to propose a letter to the entities that you
35 mentioned before to remove the three mile corridor in
36 order for local people within the -- I think he mentioned
37 from Wales to Utqiagvik, to be have that removed for the
38 potential crab fishermen.

39
40 CHAIRPERSON BAKER: Elmer.

41
42 MR. ARMSTRONG: Just for discussion. I'm
43 looking at the CDQ site and it shows these different
44 areas have like Norton Sound Economic Development
45 Corporation, they have an area. And also there's a Yukon
46 Delta Fisheries Development Association Coastal village
47 Region Fund. And also, the Bering -- Central Bering Sea
48 Fishermen's Association and Aleutian Pribilof Island
49 Community Development Association in the boundaries are
50 pretty big.

1
2 CHAIRPERSON BAKER: Verne, did you want
3 to add something?
4

5 MR. CLEVELAND: I second the motion.
6

7 CHAIRPERSON BAKER: The motion made by
8 Tristen for a letter to the entities stated previously,
9 seconded by Verne. Any further discussion? Mike.
10

11 MR. KRAMER: Yeah, I know that at our
12 advisory meeting that we had within the last two weeks,
13 my brother is the Chair on the Kotzebue Sound Fish and
14 Game Advisory Council. We made decision on the sheefish.
15 But I think it would be wise to relook over some of the
16 boundaries, like John is talking about for crabbing. I
17 don't know what the current -- I -- I've been trying to
18 figure it out, what's the current boundaries for
19 commercial fishing within Kotzebue Sound. I believe it's
20 (In Native). And then what about the island?
21

22 MR. RAY: I was told that the -- we don't
23 have a northern boundary. It goes as far as would be
24 possible for us to sell fish. So, if there was a buyer
25 in Point Hope, we could actually fish in Point Hope.
26 That's what I was told by Fish and Game, Kevin Clark
27 down and Nome.
28

29 CHAIRPERSON BAKER: For the record, that
30 was John Ray. Did you have more, Mike?
31

32 (No response)
33

34 Staff, is that good for a letter? Got a
35 thumbs up. All those in favor of drafting this letter,
36 please signify by saying aye
37

38 IN UNISON: Aye.
39

40 CHAIRPERSON BAKER: And those opposed,
41 aame sign.
42

43 UNIDENTIFIED: Aye.
44

45 CHAIRPERSON BAKER: So, was one
46 opposition and five in support, that would pass. So, we
47 will get that drafted. Thank you, John, for coming in
48 today. I know it was impromptu, but hopefully this moves
49 things along and helps our Marshall folks here in
50 Kotzebue in the area. Appreciate your time. We're going

1 to move on to our next item. Dr. Voorhees, you covered
2 the Partners for Fisheries monitoring program already.
3 So, next we have Brent Vickers with the Office of
4 Subsistence Management general update.

5
6 DR. VICKERS: All right, Mister Chair,
7 members of the Council, once again, this is Brent Vickers
8 from the Office of Subsistence Management. And on behalf
9 of OSM, I want to thank you for your service. Exceptional
10 work that you are doing here on behalf of your
11 communities and user groups. We value your expertise and
12 your volunteering, your contributions of your knowledge,
13 experience, and time to these regulatory processes,
14 which are very confusing, and we really appreciate you
15 guys working through them. So, as many of you know, last
16 summer, Congress administratively moved OSM from the US
17 Fish and Wildlife Service directly to the Office of
18 Secretary Policy, Management and Budget. This move was
19 one of many efforts that the Department of Interior has
20 made to strengthen the Federal Subsistence Management
21 Program and ensure that federally qualified subsistence
22 users and Alaska Native peoples have an opportunity for
23 meaningful engagement in our public process and
24 implementation of federal subsistence priority.

25
26 This January, President Trump returned
27 to the White House and with him, a new team of political
28 appointees. Doug Burgum was sworn in as Secretary of
29 Interior. Recently, Tyler Hassan was appointed acting
30 senior advisor to the Secretary, exercising the
31 delegated authority of the Assistant Secretary for the
32 Office of Policy, Management and Budget, which again,
33 is the office we're now in. Meanwhile, it's been business
34 as usual as we continue to work with many of the same
35 people within the Office of Secretary in Washington,
36 D.C., who hope -- helped us with our transition as well
37 as the new political appointees. In February, we
38 welcomed new public Board Members Raymond Oney of
39 Alakanuk, Benjamin Payenna of Nome and Frank Woods of
40 Dillingham, and completed another successful Board
41 meeting later that month or in early February. We hope
42 to have an updated federal regulations for subsistence
43 fishing published in the final rule soon. The proposed
44 rule for the 2026 Wildlife regulatory cycle, published
45 on February 7th, and the Board will be accepting
46 proposals through April 4th.

47
48 Staff updates. First, in November 2024,
49 Justin Kohler was promoted from fisheries biologist to
50 regulation specialist. Justin seamlessly transitioned to

1 this very complicated position and has been working
2 diligently to push forward the new rules. Then in
3 December, OSM officially welcomed our new director,
4 Ciisquq Crystal Leonetti. She has been -- had been acting
5 in that role for over six months until she was formally
6 hired. Previously, Ciisquq was Alaskan Native Affairs
7 Specialist at U.S. Fish and Wildlife Service. Among her
8 regular OSM director responsibilities, she continues to
9 lead OSM through its administrative move and has done a
10 wonderful job. Starting in February, Chris McKee came
11 to OSM from BLM to act as Deputy Director for four
12 months. Chris is subsistence coordinator at BLM and a
13 member of the Interagency Staff Committee or ISC. Chris
14 previously worked at OSM as Wildlife Division Supervisor
15 and before that a wildlife biologist until 2020. And
16 then last week, Scott Ayers was formally appointed the
17 Deputy Director of OSM position. Scott started at OSM
18 as a Fisheries Biologist in 2016 and has been our
19 Fisheries Division Supervisor since 2021. He stepped up
20 to help OSM by acting as either Deputy Director or the
21 Director through much of 2024. He demonstrated some
22 really excellent leadership while acting in those
23 positions, and we're really excited to have him in this
24 permanent role. See -- so as we've discussed here, it's
25 been brought up, our OSM Fisheries Biologist Karen Hyer
26 recently retired. So, she could dedicate more of her
27 time to finding fish in the deep seas. Karen was a
28 specialist in this Northwest Arctic region for many
29 years, and was also heavily involved in the Partners for
30 Fisheries Monitoring Program. We're going to really miss
31 her, her dedication and fun sense of humor, and
32 especially the service training puppies she would bring
33 to the office. But I want to assure you, have no fears,
34 because we have Kevin Foley, who is an excellent
35 biologist who's worked throughout the Alaska region for
36 many years, stepping in to start filling in Karen shoes.
37 We also have Doctor Voorhees, anthropologist, who's
38 worked in this region for many years. Also, of course,
39 we want to get into Wildlife, Tom Plank has been doing
40 great, so don't worry. Even though we've lost Karen as
41 great fisheries biologist, we've got strength in numbers
42 behind her.

43
44 Let's see. OSM State Liaison George
45 Pappas moved to a new job with Alaska State ADF&G. He's
46 now the Firector of the Division of Subsistence. George
47 Was great leader at OSM, while we miss his insight and
48 humor at our office meetings, we know will be excellent
49 in his new role and look forward to working with him in
50 that capacity. And lastly, we're heartbroken to share

1 that our longtime solicitor, Ken Lord, unexpectedly
2 passed away a few weeks ago. Although he worked mostly
3 behind the scenes, Ken was truly dedicated to rural
4 subsistence users in Alaska and upholding ANILCA Title
5 VIII. He was incredibly knowledgeable about ANILCA,
6 always took the time to calmly, patiently explain it to
7 the rest of us. That -- our thoughts will always be with
8 him and his family.

9
10 So, moving into a real ID, we've been
11 mentioning this for years, but the time has come. Council
12 members and others are -- about the requirements to
13 change for us travelers who must have a Real ID compliant
14 to Board domestic flights, access certain federal
15 subsistence facilities. Beginning May 7th, 2025, every
16 air traveler will need to present Real ID compliant
17 identification to fly within the US. That includes small
18 bush carrier -- commercial carriers. For our program,
19 you will need to have your Real ID in time to travel to
20 your fall 2025 Council meeting. You can find out more
21 about Real ID and requirements on the State of Alaska
22 Motor Vehicles website.

23
24 Correspondence. Councils received a
25 handful of responses earlier this year from Secretaries
26 based on issues raised during individual Council
27 meetings and an All Council meeting this past winter or
28 last winter. OSM has also integrated a correspondence
29 review standing agenda item in the Federal Subsistence
30 Boards meetings to keep them apprised of all ongoing
31 and completed correspondence to and from the Councils.
32 We're aware of concerns that have been raised on timely
33 responses and are continuing to work on ways to help
34 expedite things moving forward. The upcoming meeting
35 dates. The Federal Subsistence Board will hold a summer
36 work session on January 23rd and 24th of this year to
37 discuss Annual Report replies, Council correspondence
38 and Council and non-voting young leader nominations.
39 Tribal and ANSCA consultations on wildlife regulatory
40 proposals and closure reviews will take place on August
41 23rd-24th, 2025. We will have -- the times for these
42 consultations will still -- are still to be determined,
43 but August 23rd-24th. For next year, we're looking at
44 the weeks of January 28th and 29th, or the weeks of
45 February 4th and 5th for the Board's FRMP work session.
46 We're also looking at the weeks of April 10th or April
47 13th through 7 -- April 6th through 10th or April 13th
48 through 17th for the next wildlife regulatory meetings.

1 Let's say, litigation updates. There
2 were some updates provided during the fall 2024 Council
3 meeting cycle. Since then, Kake Emergency Hunt, which
4 is a ADF&G versus the Federal Subsistence Board
5 briefing. The Kake -- the briefing has been completed
6 before the 9th Circuit Court of Appeals and the three
7 judge appellate panel heard the oral argument on
8 February 7th. We expect a decision sometime this summer.
9 And the Kuskokwim matter, the District Court found in
10 favor of the US on all claims, and enjoined the State
11 from taking any further actions and violating Title VII
12 on the Kuskokwim River. The State has appealed and
13 briefing before the Court of Appeals is now complete,
14 oral argument is scheduled for April 11th. And that's
15 my come -- report. Let me know if there's any questions.

16
17 CHAIRPERSON BAKER: Yes, Clyde.

18
19 MR. RAMOTH: Great report, a lot of
20 energy. So, the tribal consultation, you mentioned some
21 dates, and can you elaborate on that a little bit please?

22
23 DR. VICKERS: Yes.

24
25 MR. RAMOTH: So, for the record, Clyde
26 Ramothm Selawik.

27
28 DR. VICKERS: Thank you. Chair -- member
29 Clyde. This is Brent Vickers, OSM again. So, what those
30 tribal consultations are for -- are -- they're -- there
31 for basically all standing wildlife proposals. We will
32 have -- invite tribes and ANSCA corporations for
33 basically an open period -- it's -- we have it sectioned
34 out like a two hour time, depending on the region. And
35 the representatives from those tribes or the
36 corporations can come on any proposal that's out there.
37 Anytime a tribe or corporation wants to make a special
38 consultation, all they have to do is Council -- contact
39 us. Thank you. Sorry. Contact us. Particularly our
40 Native Liaison, Orville Lind, or you can just contact
41 anyone to if -- especially if there's a specific proposal
42 that a tribe or corporation wants to discuss any time
43 of the year that's open. But we set these dates, which
44 are August 23rd and 24th, for a representative to put
45 on their calendar, get on the phone and make comments
46 on any of the proposals that are out there.

47
48 MR. RAMOTH: Okay, thank you.

49
50 DR. VICKERS: Thank you.

1
2 CHAIRPERSON BAKER: Other questions,
3 comments for Brent on the report at this time?
4

5 (No response)
6

7 Hearing none. Thank you, Brent. We will
8 move on to other business. The Council correspondence
9 update, Lisa.
10

11 MS. HUTCHINSON: Hello again. Mr. Chair,
12 members of the Council again, this is Lisa Hutchinson,
13 Council Coordinator, for the record. So, starting on
14 page 137 of your meeting books that has a caribou on
15 front. I've included the current Council correspondence
16 that has been received in response to the letters the
17 Council has sent after the joint All Council meeting
18 last March in Anchorage. The letter on page 137 is from
19 the Commissioner of Fish and Game, Doug Vincent-Lang,
20 in response to the Quad Council, which included your,
21 Northwest Arctic, the North Slope, the Western Interior,
22 and the Seward Peninsula Councils. It was regarding your
23 concerns about the Western Arctic Caribou Herd decline,
24 and that was his -- the Commissioner's response to your
25 letter. Then there's two response letters on page 141
26 and 143 from the principal Deputy Assistant Secretary
27 in behalf of the Secretary of Interior, Deb Haaland --
28 last -- the prior Secretary of Interior, Deb Haaland,
29 in response to fishery management concerns across the
30 administrative boundaries and in response to the All
31 Council request for the monetary compensation while
32 attending Council meetings. The DOI, Department of
33 Interior provided responses to the letters received from
34 the Council regarding fisheries management concerns and
35 the request for Members compensation and the request for
36 adequate response from the Secretaries for letters
37 elevated. So, anyway, those letters are in there if you
38 have any questions, but we probably, for lack of time,
39 won't go into it. Also, in addition, on tab 11, in the
40 White Book supplemental book is the letter from your
41 Council to Mr. Elmer Armstrong informing him that he
42 was appointed by your Council to the Kobuk Valley
43 Subsistence Resource Commission. It was that that
44 happened last fall. So, anyway, congratulations Elmer
45 to that. And that's the end of the correspondence update.
46 Thank you. And I will have quite a few for next meeting.
47

48 CHAIRPERSON BAKER: Thank you for that,
49 Lisa. We will move to Katya Wessels with the Young Leader
50 Seat update.

1
2 MR. WESSELS: Thank you, Mr. Chair. Good
3 afternoon, members of the Council. I am just sorry that
4 I'm not there with you in Kotzebue but, thank you so
5 much for a very productive meeting. My update will be
6 very short. For quite a few years, many Councils,
7 including yours, were considering that the membership
8 of the Council are becoming very kind of more on the
9 older side and wanting to involve more younger people
10 and pass your knowledge and experience with Federal
11 Subsistence Management Program and with dual management
12 system to the younger generations. So, for several years
13 several Councils been [sic] asking to add a young leader
14 Member seat to the Councils, and then finally, after the
15 request was sent to the Secretary of the Interior in
16 2023, that request was approved and the Council Charters
17 that were issued in 2023 got the language included that
18 each of the ten Councils will get one non-voting young
19 leader member seat. And we advertised for that seat at
20 the same time as we advertised for the regular Council
21 seats from early January to February 16th. We received
22 several letters of interest across Alaska from various
23 regions. In fact, you know, it was eight letters of
24 interest that were received. Unfortunately, not all
25 regions received the letters of interest for these non-
26 voting young leaders seat. Your region have not received
27 a letter of interest from any young leaders in your
28 region. So, I would encourage the Council members that
29 when we advertise for that seat again, hopefully next
30 year, that you spread the word in your communities and
31 encouraging [sic] any younger people and young leaders
32 in the age needs to be between 18 and 25 at the time of
33 appointment to apply for that seat. And this -- they do
34 not need to fill any form. They just need to write a
35 letter of interest and answer a couple of questions. One
36 of them, why subsistence is important to you? And the
37 other one. Why do you want to serve on the Federal
38 Subsistence Regional Advisory Council? We are now in the
39 process of creating rating criteria for the applicants
40 that applied this year, and then after the interviews
41 are conducted, the information will be sent to the
42 Federal Subsistence Board for their recommendations, and
43 then subsequently, it will be sent together with the
44 regular packet for the Council appointments to the
45 Secretary of the Interior in concurrence with Secretary
46 of Agriculture. And hopefully by December of this year,
47 we'll have some of the appointments to this non-voting
48 young leader seats, and we can update you during the
49 winter of 2026 who got appointed. And hopefully we'll
50 see somebody from your region applying for the seat in

000134

1 the future. So, that concludes my short update on that
2 topic, and I'm happy to answer any questions if there
3 is any.

4
5 CHAIRPERSON BAKER: Thank you, Katya. Any
6 questions?

7
8 (No response)

9
10 Doesn't appear that we have any. So,
11 thank you for that update. The young leaders.....

12
13 MS. WESSELS: Welcome.

14
15 CHAIRPERSON BAKER: We will move right
16 into item 16 which is Council member closing comments.
17 Go ahead and start with Clyde. Do you have any closing
18 comments?

19
20 MR. RAMOTH: Thank you, Mr. Chair. Good
21 meeting. I think it's been very informative. I've
22 learned a lot about proposals and hearing the agencies
23 report and written reports, really helpful when we get
24 these, like, twice a year. The muskox is probably my
25 highlight for this Selawik resident, but with the
26 declining caribou, I know I've had outside discussions
27 about it's probably going to be a statewide issue too
28 to talk about caribou in the future or tuttu and maybe
29 even NANA, I heard might even put on another tutu
30 conference here. But overall safe travels. Good
31 meetings. Very meaningful, I got a lot of things to
32 share at home. Thank you.

33
34 CHAIRPERSON BAKER: Thank you, Clyde.
35 Elmer, any closing comments?

36
37 MR. ARMSTRONG: Thank you, Mr. Chair.
38 Elmer Armstrong, Noorvik. Yes, this was a good meeting.
39 A lot of information to digest. And I'm glad that we
40 were able to put proposals in with letters of support.
41 And I look forward to our next meeting. Thank you.

42
43 CHAIRPERSON BAKER: Thank you, Elmer.
44 Mi4ke Kramer.

45
46 MR. KRAMER: Yeah, that was a very good
47 meeting. A lot of serious points were pointed out. And
48 I -- we did take care of a lot of issues. That will be
49 -- will be dealing with in the future. You know, it's
50 with the way our government is going right now that

1 subsistence is very priority, food security is very
2 priority. You know, we're at the point where mining and
3 money means more than subsistence resources. With the
4 initiative of all of us working together, we are united,
5 but when we don't work together, we are apart, and we
6 are set for failure. So, we need to try and work together
7 to try and successfully make it easier on subsistence
8 users throughout the region. Please turn in your you
9 know, your harvest tickets for caribou. Please follow
10 the law, the regulations set forth. Please get your
11 fishing or hunting licenses. You know, if you get into
12 trouble and you don't have any of these items, it makes
13 us very hard to defend you, or to bring forth issues
14 that you may have.

15
16 The harvesting of cows is illegal.
17 Especially at this point in time, you know, when they
18 are beyond embryos. We've got a lot of things that are
19 going to be coming up within the next 5 to 10 years, and
20 it's going to be very critical. I got a lot of attaboys
21 on Facebook Messenger saying that you hit all the points,
22 you asked all the good questions, you came up with good
23 questions, you pressed for answers, you pushed for
24 questions, and so on. But I think that all of us working
25 together will be able to accomplish a lot. Especially
26 when it comes down to a lot of the studies for
27 subsistence and helping in with the consumer --
28 commercial fisheries, to try and understand why and to
29 try and help to see if we can understand why and make
30 sure that we get good runs of salmon coming in for
31 subsistence users. Especially for return and future
32 stocks. That's all I have. Thank you.

33
34 CHAIRPERSON BAKER: Thank you, Mike.
35 Tristen.

36
37 MR. PATTEE: Through the Chair Tristen
38 Pattee. I want some attaboys on Facebook. I'd like to
39 just take a moment to reflect on the past few days and
40 express my appreciation for the outstanding
41 presentations we've had the privilege of experiencing.
42 The time, energy, and dedication invested both mentally
43 and physically in doing the work to create these
44 presentations is truly valued. Our subsistence way of
45 life is central to who we are and any insights that help
46 our people make informed decisions and adapt when
47 necessary are crucial to ensuring that we not only
48 continue to thrive but, also preserve and pass on this
49 important tradition. I'm truly proud to be part of this
50 work and remain deeply committed to serving the people

1 in my region. I also want to encourage all the young
2 subsistence users to reach out to the elders in your
3 communities. Listen to their stories, learn from their
4 experiences, and do your best to pass that knowledge
5 along. Just in the short time we've had here, I've
6 learned so much from the elders that surround me, and I
7 can only imagine how much more wisdom is out there
8 waiting to be shared. Thank you to all the presenters,
9 the staff and of course the Council for being part of
10 this vital organization. I look forward to seeing all
11 the hard work you continue to put in for our people, and
12 how the fruits of that labor will enrich and benefit our
13 lives for generations to come. Taiku.

14
15 CHAIRPERSON BAKER: Thank you, Tristen.
16 Verne.

17
18 MR. CLEVELAND: Thank you like said,
19 thank all the agencies for coming in, helping us out,
20 letting us know what's going on. And with that mining,
21 what these guys brought up. That activity up in Bornite,
22 is getting more and more activity. Is anybody doing
23 studies or anything around Bornite on the rivers, the
24 creeks or anything? So, when the mine comes in you know,
25 we are already, not say, oh, we didn't know that, you
26 know, but, you know, we have to be prepared for that
27 because that Bornite opens up and we're not prepared,
28 you know, it's going to hit us hard, especially on
29 subsistence. So, let's be aware that it's going to open
30 up, I guarantee you. I've been hearing you since I was
31 five years old. That's 65 years ago. I grew up with it.
32 You've been talking about it. Talking about it for years.
33 She's gonna open up. Our fishing is gonna be gone, our
34 hunting. So, with you folks. We should try and get some
35 -- something going to study what's going on up there.
36 We're already a lot of activity, choppers all day long.
37 Because everything Bornite for -- just to check it out.
38 They probably kicked me out at last -- last time, because
39 the caribou were getting too close to Bornite. And I
40 told them, hey, you guys gotta quit playing around
41 because they were right there. But I was sent home the
42 next couple of days due to, I don't know what. Maybe
43 what I commented, but we have to start watching Bornite
44 as is. That's where the fish go spawn up the river. We
45 have been having -- making it because it's getting warmer
46 and warmer, but we should at least try and look at it
47 in some way. If the road comes in, it will be in a whole
48 different world for sure. I know it's going to happen
49 because I've been listening to it for many moons, I tell
50 you that. And thank Lisa, for bugging me to come down

1 and early, you know. No, but my help and having been
2 very, very great, but thank you all for being here and
3 giving us all your reports. And thank you, Mr. Chair.

4
5 CHAIRPERSON BAKER: Thank you, Verne. For
6 the record, Thomas Baker, Chair of Northwest Arctic
7 Subsistence Regional Advisory Council. I'd just like to
8 thank all the Council members. I know we have several
9 who couldn't be here today. Thanks, everybody for the
10 time that we all volunteered to come down and come
11 together and talk about all of the different issues.
12 Thank you to all the staff and the different folks that
13 come in to make these meetings happen. Over the last
14 month, there's been potential government shutdowns.
15 There's been people let go, people brought back. So,
16 thank you to all the federal folks who, no matter what,
17 Bob and weave, to come together and put these things on
18 so that we can do the work of working towards better
19 subsistence policies. I'll keep it short. With that, we
20 are on our last item, which is adjournment. Do we have
21 a motion to adjourn?

22
23 MR. RAMOTH: I so move.

24
25 CHAIRPERSON BAKER: Motion to
26 adjourn.....

27
28 (Simultaneous speech)

29
30 MR. RAMTH: Clyde.

31
32 CHAIRPERSON BAKER: made by Clyde. Is
33 there a second?

34
35 MR. CLEVELAND: Second.

36
37 CHAORPERON BAKER: Seconded by Verne. All
38 those in favor, please signify by saying aye.

39
40 IN UNISON: Aye.

41
42 MR. RAMOTH: I'd also like to thank KOTZ
43 Radio for hearing us on the radio. Taiku to all you over
44 there and give us our hard work. Thank you.

45
46 CHAIRPERSON BAKER: Thank you for that,
47 Mike. And those opposed, same sign.

48
49 (No response)

50

000138

1 Hearing none. We will adjourn at 4:38
2 p.m.. Thank you everyone. We will see you in September.

3
4 (Off record)

5
6 (END OF PROCEEDINGS)

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

C E R T I F I C A T E

I, Rafael Morel, for Lighthouse Integrated Services Corp, do hereby certify:

THAT the foregoing pages numbered 1 through 138 contain a full, true and correct Transcript of the NORTHWEST ARTIC SUBSISTENCE REGIONAL ADVISORY COUNCIL MEETING, VOLUME II recorded on the 28th day of March;

THAT the transcript is a true and correct transcript requested to be transcribed and thereafter transcribed by under my direction and reduced to print to the best of our knowledge and ability;

THAT I am not an employee, attorney, or party interested in any way in this action.

DATED at Isabela, Puerto Rico this 6th day of May 2025.

Rafael Morel
Chief Project Manager