

0001

KODIA/ALEUTIANS SUSBSISTENCE
REGIONAL ADVISORY COUNCIL

PUBLIC MEETING

VOLUME II

COLD BAY COMMUNITY CENTER
Cold Bay, Alaska
September 18, 2025

COUNCIL MEMBERS PRESENT:

Rebecca Skinner, Chair
Jeff Wasley
Patrick Holmes
Coral Chernoff
Daniel Smith
Natasha Hayden
Brett Richardson

Regional Council Coordinator, Leigh Honig

Recorded and transcribed by:

Lighthouse Integrated Services Corp
877-261-2495
info@lighthouseonline.com

0002

1 P R O C E E D I N G S

2

3 (Cold Bay, Alaska - 9/18/2025)

4

5 (On record)

6

7 CHAIRPERSON SKINNER: All right. We're
8 gonna [sic] go ahead and get started. Good on audio. All
9 right. This is Rebecca Skinner. We're back for the second
10 day of the KARAC meeting here in Cold Bay. Let's go
11 ahead and start with a roll call just to make sure on
12 the record, we know who is who's present in the meeting.
13 And then I have a few other comments before we jump in.
14 Leigh.

15

16 MS. HONIG: All right. Good morning.
17 Leigh Honig, for the record. I'll start off with Jeff
18 Wasley.

19

20 MR. WASLEY: Jeff Wasley, here.

21

22 MS. HONIG: Pat Holmes.

23

24 MR. HOLMES: Here.

25

26 MS. HONIG: Sam Rohrer, were you able to
27 call in?

28

29 MS. HONIG: Coral Chernoff.

30

31 MS. CHERNOFF: Here.

32

33 MS. HONIG: Rebecca Skinner.

34

35 MS. SKINNER: Here.

36

37 MS. HONIG: Daniel Smith.

38

39 MR. SMITH: Here.

40

41 MS. HONIG: Natasha Hayden.

42

43 MS. HAYDEN: Here.

44

45 MS. HONIG: And Brent Richardson.

46

47 MR. RICHARDSON: Here.

48

49 MS. HONIG: We have seven out of nine
50 seated. We have a quorum.

1

2

CHAIRPERSON SKINNER: Great, thank you.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

CHAIRPERSON SKINNER: Great, thank you. So, just for order. Order of the day, here. I'll start with public and tribal comments on non-agenda items. In general, today we're going to go until we're done. So, if we finish everything, we'll end at five. But, if we need to go later, since we're not trying to catch flights today, we'll stay here until we're done. I do plan to do lunch again from around 12 to noon, if we have a good -- when we have a good breaking point. We are going to start with proposal WP26-33. This is when we tabled yesterday. I think we'll probably get through the proposals this morning, if we don't and we have to start prioritizing or potentially reordering agenda items, my plan is that, either after lunch or at the end of the proposals, I'm going to move up Jackie Keating from Fish and Game to make sure we get her report. I want to make sure to have our annual report items discussion and then the program review discussion. So, I'm prioritizing those. And once we get through those to fall back into the agenda as written. So, then after that, we would be on the future meeting dates, followed by the FRMP proposal review, and then reports after that. But yeah. So, because the RAC is here until tomorrow. We can go as late as we want tonight. Okay, so, we will go ahead and start with WP26-33. We did not have a motion on the floor for this one so, I'll look for a motion to approve the proposal. Go ahead, Coral.

MS. CHERNOFF: Thank you, Madam Chair. Move to adopt wildlife proposal WP26-33. Requesting up to 4 brown bear permits by federal registration, issued by the Kodiak National Wildlife Refuge Manager.

CHAIRPERSON SKINNER: Is there a second?

MR. RICHARDSON: Second.

CHAIRPERSON SKINNER: Great, thank you. Is there discussion or justification or questions to the maker of the motion. Go ahead, Brett.

MR. RICHARDSON: Brett Richardson. Just a comment. I would support the proposal as stands. Not sure if it needs to be amended to have either registration or draw put in but I support registration, as that would be kind of in line with other areas on the island, I think. Thanks.

1 CHAIRPERSON SKINNER: And then just for
2 clarity, I see Kendra at the table, if it is not
3 specified. So, if we don't say anything about the
4 methodology, draw versus registration, the default is
5 it will be registration. Is that correct?

6
7 MS. HOLMAN: Madam Chair, this is Kendra
8 Holman. Yes, as it is written right now, it is -- would
9 be a your registration.

10
11 CHAIRPERSON SKINNER: Okay, thank you.
12 Further comments, questions, discussion? Daniel.

13
14 MR. SMITH: Yeah. Thank you, Madam Chair.
15 This is Daniel Smith. I would be in support of the
16 proposal as written. Using a registration permit of up
17 to four permits. Personally, I don't think the demand
18 would be that high, you know, compared to state hunts -
19 - registration hunts and I think this would be a pretty
20 solid starting point, just to see how many harvesters
21 apply for this hunt. And then it could be amended as
22 needed, you know, in future proposal cycles.

23
24 CHAIRPERSON SKINNER: Further comment or
25 discussion. Coral, I'm going to take Jeff first because
26 he hasn't spoken yet. Go ahead, Jeff.

27
28 MR. WASLEY: Jeff Wasley. I agree with
29 what Daniel said. I think this is a great starting point
30 and it could be tweaked down the road if need be. Thank
31 you.

32
33 CHAIRPERSON SKINNER: Thanks. Coral.

34
35 MS. CHERNOFF: Yes, this is Coral. I'm
36 in support of this and we had discussion about making
37 it a draw or a registration permit. I am always in favor
38 of making things uncomplicated and easy. And I think by
39 having it be the same system that it is in all the
40 villages, I think that makes sense for all the users.
41 Thank you.

42
43 CHAIRPERSON SKINNER: Pat, do you have
44 your hand up?

45
46 MR. HOLMES: Yeah. Yes, ma'am. I have to
47 agree with everybody. It's unfortunate that this wasn't
48 explored earlier. And I have to commend Coral for raising
49 the question. And I think it's most appropriate for Road
50 System folks to have a registration access for

1 subsistence bears, as in the villages. So, thanks a lot
2 Coral, bye.

3
4 CHAIRPERSON SKINNER: Further comments
5 or discussion.

6
7 MS. HAYDEN: Madam Chair, this is
8 Natasha.

9
10 CHAIRPERSON SKINNER: Go ahead, Natasha.

11
12 MS. HAYDEN: So, Natasha Hayden, for the
13 record. I'm also supportive of this proposal so, I just
14 wanted to put that out there on the record and yeah,
15 agree with everybody else's comments. Thanks.

16
17 CHAIRPERSON SKINNER: Thank you. All
18 right, I'll go ahead and make my comments for the record.
19 I'll also reference back to the comments I made on the
20 C&T determination. That was kind of the companion
21 proposal to this proposal. I think that I am in support
22 of this. I think it brings Kodiak in line with the other
23 -- the villages that are on Kodiak Island and recognizes
24 the historical and long-standing use of subsistence use
25 of bears by people who live in what is now the Kodiak
26 Road System. I think that the registration hunt approach
27 is -- it is fine. I think draw would have been fine as
28 well. I think they both have pros and cons. But, since
29 the villages currently operate on a registration system,
30 I support that implementing this in Kodiak that we follow
31 the same kind of a model. Referencing the analysis, I
32 don't perceive any conservation concerns. We're talking
33 at most about adding 4 additional bears harvested per
34 year. My assumption, looking at the other harvest levels
35 for the villages, is that it probably won't even reach
36 4 bears. But the analysis is clear that even with the 4
37 bear or four permit level that there's no conservation
38 concern. And those are my comments. Are we ready to
39 vote? Okay. Since I -- what I heard was everyone's in
40 support of this, I will ask if there's any objection to
41 this proposal.

42
43 (No response)

44
45 Okay. Seeing and hearing none, noting
46 this proposal passes unanimously. Okay. Yesterday, we
47 already did, WP26-34. So, the next item on our agenda
48 is WP26-35, Unit 9D caribou, modify fall season dates.
49 And Kendra is at the table.

1 MS. HOLMAN: Good morning, Madam Chair,
2 members of the Council. Kendra Holman for the record,
3 wildlife biologist with OSM. So, this morning we're
4 going to start with WP26-35. So, this is the summary of
5 the analysis for that starting on page 93 of your meeting
6 books. This was submitted by the Bristol Bay Regional
7 Advisory Council in requesting to extend the fall season
8 for caribou in Unit 9D, to October 21. This proposal
9 requests the Federal Subsistence Board lengthen the
10 caribou season for federally qualified subsistence users
11 in Unit 9D. This hunt is for the Southern Alaska
12 Peninsula Caribou Herd. The Alaska Board of Game
13 extended the state caribou season in October 9th -- in
14 unit 9D to October 21st via the adoption of proposal
15 seven at their January 2020 meeting, effective for the
16 -- starting July 1st of 2025. This proposed change would
17 maintain alignments between state and federal seasons.
18 Since the 1980s, regulations have fluctuated as the herd
19 has grown and reduced in population. In 2018, the Board
20 delegated authority to Izembek National Wildlife Refuge
21 Manager as the in-season manager to set quotas, harvest
22 limits, sex restrictions and any needed closures on
23 federal public lands in Unit 9D. In January, the State
24 Board of Game, as you heard earlier, extended their
25 season in Unit 9D for residents and non-residents. The
26 herd has fluctuated from a high of more than 10,000 to
27 a low of 500 caribou. Currently management objectives
28 for the population are 1500 to 4000. From 1996 to 2002,
29 the population grew to about 4100 caribou and then
30 declined to approximately 770 by 2006. Since 2006, the
31 post calving counts have steadily increased to a minimum
32 count of 3,408 caribou in July of 2024. Your minimum
33 counts can be found on the table 1, which is on page 100
34 of your meeting book. This minimum count gave a
35 population estimate of 3800 to 4000. Under normal
36 circumstances the caribou population -- in a caribou
37 population, approximately 25 calves per 100 cows are
38 necessary to offset adult mortality. Ratios for the SAP
39 have averaged 31 calves per 100 cows since 2011. Since
40 2011 also bull cow ratios have averaged 46 per 100,
41 which is above the management objective of 35 per 100
42 recommended for this herd in the operational plan. This
43 herd has a history of precipitously declining after
44 reaching the upper limits of this population objective.
45 The herd annual harvest reached its peak in the 1980s.
46 From 2013 to 2024, reported harvest averaged 40 caribou.
47 Harvest information can be found in table 2, on page 103
48 of your meeting books. Since 2018, a majority of the
49 harvest taken by residents in unit 9D are from Cold Bay
50 and King Cove. Non-residents harvest has surpassed

1 resident harvest, accounting for 88% of the total
2 reported harvest in 2023. No harvest occurred under
3 federal permit under the federal regulations since 2005.
4 This herd would need a harvest of approximately 300
5 caribou to maintain the upper end of the population
6 objective. In 2023, there were only 80 bulls taken,
7 harvested. In regulatory year 24-25, there were 75 bulls
8 and 3 females. An alternative considered was to
9 eliminate the federal permit requirement. The state
10 caribou hunt in unit 9D requires -- only requires a
11 harvest ticket. The federal permit was implemented when
12 the hunt was just reopening after a population decline.
13 However, very little harvest occurs under the federal
14 permit, which may not be necessary -- which may now be
15 an unnecessary administrative burden for both federally
16 qualified users and federal managers. However, the
17 federal permit provides the in-season manager the
18 flexibility to announce federal seasons and specific
19 harvest limits, which may be needed in the future. This
20 would provide additional opportunity to federally
21 qualified subsistence users -- this proposal would
22 provide additional opportunity for federally qualified
23 subsistence users hunting under federal regulations.
24 However, all users already able to hunt in Unit 9D under
25 state regulations until October 21st. Adopting this
26 proposal would also decrease regulatory complexity and
27 confusion by maintaining alignment between both state
28 and federal regulations. There are no conservation
29 concerns for the herd at the time. Rather, additional
30 harvest is recommended to prevent a population crash.
31 OSM's preliminary conclusion is to support this
32 proposal. Thank you, Madam Chair, members of the
33 Council. I'd be happy to address any questions.

34
35 CHAIRPERSON SKINNER: Thank you, Kendra.
36 Are there any clarifying questions from Council members?

37
38 (No response)

39
40 Okay. Seeing and hearing none. We'll go
41 on to the second step, which is report on Board
42 consultation with tribes and ANCSA Corporations.

43
44 MS. HONIG: Thank you, Madam Chair. Leigh
45 Honig, for the record. There was one comment that was
46 received from the Director of the Aleutian Islands
47 Association. She echoed support for WP26-35, which was
48 submitted by the BBRAC and requested that any feedback
49 on impacts this may have on folks in the area be shared
50 with the Kodiak Aleutians Council. And OSM provided

1 information that it was a mistake that this was submitted
2 on behalf of the Bristol Bay Council and that Kodiak
3 Aleutians would be bringing this up at their meeting.
4 That's the end of the consultation comment. Thank you.

5
6 CHAIRPERSON SKINNER: All right, thanks.
7 Moving on to the next step. Agency comments. This
8 includes Fish and Game, federal agencies and tribal
9 entities. Are there any comments from the Alaska
10 Department of Fish and Game?

11
12 MR. POETTER: Yeah. Good morning, Madam
13 Chair. Aaron Poetter with Alaska Department of Fish and
14 Game. As these -- as this proposal would seek to align
15 federal regs with state regs, we don't have any
16 conservation concerns. So, neutral to -- supportive of
17 that. Thank you, Madam Chair.

18
19 CHAIRPERSON SKINNER: All right. Thank
20 you. Are there any comments from federal agencies?

21
22 (No response)

23
24 Okay. Seeing and hearing none. Are there
25 any comments from tribal entities, including native,
26 tribal, village and other?

27
28 (No response)

29
30 Okay. Seeing and hearing none. We'll
31 move on to the next step, which is advisory group
32 comments. This includes other Regional Councils, Fish
33 and Game Advisory Committees and Subsistence Resource
34 Commissions. Are there any comments from advisory
35 groups?

36
37 MS. HOLMAN: Madam Chair, this is Kendra
38 Holman. So, you are the first Regional Advisory Council
39 to hear this proposal and we've not received any written
40 comments from anyone else, any other groups.

41
42 CHAIRPERSON SKINNER: Okay, thank you.
43 Next up, summary of written public comments.

44
45 MS. HOLMAN: Madam Chair, Kendra again,
46 there were no written public comments received on this
47 proposal.

48
49 CHAIRPERSON SKINNER: Okay. Next up is
50 public testimony. Is there anyone in the audience here

0009

1 in the room or online, that wishes to give public
2 testimony on this proposal?

3
4 (No response)

5
6 Okay. Seeing and hearing none. We are
7 up to the Regional Council recommendation. And here I'd
8 be looking for a motion to support the proposal, and we
9 can vote that up or down. Does anyone wish to make a
10 motion? Brett, go ahead.

11
12 MR. RICHARDSON: I move to support this
13 proposal.

14
15 CHAIRPERSON SKINNER: Thank you. Is there
16 a second?

17
18 MR. SMITH: Second.

19
20 CHAIRPERSON SKINNER: Okay, so, there's
21 a motion and a second to support proposal WP26-35, Unit
22 9D caribou, modifying the fall season dates. Is there
23 discussion or, Brett, would you like to speak more to
24 your motion?

25
26 MR. RICHARDSON: Yeah. Thank you, Madam
27 Chair, the.....

28
29 (Simultaneous speech)

30
31 MR. HOLMES: Madam Chair

32
33 MR. RICHARDSON:I would support
34 this basically to increase opportunity for qualified
35 users to have extended time to harvest as well as, you
36 know, hopefully avoiding a crash in the stock. Thank
37 you.

38
39 CHAIRPERSON SKINNER: Thank you. Pat,
40 were you trying to make a comment?

41
42 MR. HOLMES: Yes, ma'am. I think this is
43 a good thing. Our -- members of our community out on the
44 Alaska Peninsula, it's particularly important to them,
45 folks that work seasonally at Port Moller. Folks from
46 Nelson Lagoon. And I've known even some Kodiak folks
47 that spend most of their season up in Bristol Bay in the
48 past, stopping on their way home to hunt there. So, I
49 think it's a really important opportunity to expand on.
50 And I'll heartily support the motion to adopt. Thank you.

1
2 CHAIRPERSON SKINNER: Thanks, Pat.
3 Further comment or discussion. Coral, go ahead.
4

5 MS. CHERNOFF: Yeah, I would just like
6 to say I do support this. And in particular I want to
7 speak to, not supporting to align with what Alaska
8 Department of Fish and Game is doing because I'm always
9 -- I think there are two separate things. You know, one
10 is a season that provides food for people and the other
11 includes commercial entities that hunt for sport. So, I
12 guess I'm in support, you know, if we're going to
13 increase and there are animals available, increasing the
14 time that people can have an opportunity to gather their
15 food is always a good thing because time is always an
16 issue when you're living out in the wild. Thank you.
17

18 CHAIRPERSON SKINNER: Thanks. Is there a
19 further comment or discussion? Daniel, go ahead.
20

21 MR. SMITH: Yeah. Thank you, Madam Chair.
22 This is Daniel Smith. I would be in support of this
23 proposal as well. Especially since the population
24 objective, additional harvest appears to be warranted.
25 And looking at just the history of this population with
26 the fluctuations, allowing more subsistence opportunity
27 for federally qualified users to harvest these caribou.
28 I think is a great opportunity.
29

30 CHAIRPERSON SKINNER: Thank you. Further
31 comment or discussion? Go ahead, Jeff.
32

33 MR. WASLEY: Jeff Wasley, here. I'm in
34 support of this. On with what Daniel said. I would hope
35 that the state would have more harvest as well, as with
36 subsistence, because it doesn't look like there's much
37 subsistence harvest due to the difficult access to this
38 herd. But, preventing them from crashing, I think, is
39 in everyone's interest, as these are animals on, you
40 know, public land. And I think everyone should have
41 access to this resource. Thank you.
42

43 CHAIRPERSON SKINNER: Thank you. I'll
44 make my comments. I do plan to support this proposal.
45 It sounds like additional harvest opportunity would be
46 beneficial to the herd. And I think expanding the season
47 dates for subsistence -- the federal subsistence hunt
48 does recognize a subsistence priority. And given that,
49 I think we are ready to vote, it sounded like everyone
50 was in support of it. So, we'll try, is there any

00011

1 objection to this proposal, to proposal WP26-35.

2

3

(No response)

4

5 Okay. Seeing and hearing none. Proposal
6 WP26-35, passes unanimously. Okay. The next section of
7 proposals are crossover proposals. Generally, these are
8 proposals that -- for activity that occurs outside of
9 the KARAC region. But residents in our region do have a
10 C&T in these areas and that's why they're there on the
11 agenda. So, we'll go ahead to the next proposal, which
12 is, WP26-15, Unit 6 deer, close Hawkins and Hinchinbrook
13 Islands to non-federally qualified users. And Jason
14 Roberts is at the table.

15

16 DR. ROBERTS: Yes, good morning, Madam
17 Chair, members of the Council. I'm Jason Roberts,
18 Anthropologist with OSM. So, this is a crossover
19 proposal coming before you because there has been no
20 specific customary and traditional use determination
21 made for deer in Unit 6. So, all rural residents have
22 customary and traditional use for deer in this area in
23 this circumstance. Wildlife proposal WP26-15 was
24 submitted by the Native Village of Eyak and request that
25 federal public lands on Hawkins and Hinchinbrook Islands
26 in Unit 6D be closed to deer hunting by non-federally
27 qualified users. The Native Village -- this proposal
28 analysis begins on page 113 of your meeting book. The
29 Native Village of Eyak states that increased harvest
30 pressure on deer in eastern Prince William Sound by non-
31 federally qualified users, and declining deer density
32 on Hawkins and Hinchinbrook Islands have resulted in
33 federally qualified users being unable to meet their
34 subsistence needs. This competition issue has occurred
35 for many seasons but an additional conservation concern
36 arising during the 2024-25 hunting season, prompted this
37 proposal. So, Sitka blacktail deer were introduced to
38 Unit 6 between 1916 and 1923. Following their
39 introduction, deer became an important subsistence
40 species in the area. And the state population management
41 objective for Unit 6 is 24,000 to 28,000 deer. As there
42 are no estimates of deer abundance in the unit, the deer
43 pellet survey is used as an index of the deer population.
44 Deer experience more extreme population fluctuations in
45 this area than in their native range and during severe
46 winters, snow concentrates deer on the beaches where
47 they can experience high harvest rates. The winter of
48 2024 and 25 was warm and mild. However, snowy winters
49 in the previous five years correlate with modest
50 declines in the deer pellet index taken in these areas.

1
2 In 2025, only Hawkins, Hinchinbrook and
3 the north end of Montague were surveyed. The island wide
4 density estimate for Hawkins Island was estimated to be
5 low and the island wide estimate for Hinchinbrook Island
6 was found to be moderate. Three of the four survey zones
7 showed decreases in deer pellet indices from 2024.
8 Hawkins and Hinchinbrook Island are located near
9 Cordova, in the traditional territory of the Eyak,
10 adjacent to the Chugach Alutiiq of the Prince William
11 Sound. During the most recent subsistence survey of
12 Cordova in 2014, deer were the second most used large
13 land mammal after moose, making up about 7% of Cordova
14 total estimated wild food harvest. The community
15 harvested about 8 pounds of deer per person on average
16 and households noted that they searched for deer on
17 Hinchinbrook and Hawkins Island -- islands. Residents
18 of Prince William Sound more widely have reported that
19 when faced with increased competition for deer, they
20 have had to either increase their hunting effort to
21 compensate or have opted out of hunting to avoid
22 competition.

23
24 Within Unit 6D most deer are harvested
25 off the major islands of Hawkins, Hinchinbrook, and
26 Montague which support the most extensive winter
27 habitat. From 2015 to 2024, reported deer harvest on
28 these islands ranged from 267 to 807 a year. Most deer
29 harvest on those two islands is by federally qualified
30 users. Between 2015 and 2024, about 73% of all deer
31 harvested on the two islands were taken by federally
32 qualified users and 70% of all deer were harvested by
33 residents of Cordova specifically. So, the OSM
34 preliminary conclusion is to oppose this proposal
35 because it does not appear there's a significant
36 conservation concern or substantial threat to the
37 continuation of subsistence uses of deer in the area.
38 The pellet count index does indicate that the population
39 of deer on these islands is low to moderate. However,
40 the deer population in Prince William Sound is prone to
41 short term fluctuations in response to winter conditions
42 and is expected to rebound after the most recent mild
43 winter. Relatively few deer are harvested on these
44 islands by non-federally qualified users and the
45 percentage of deer harvested by non-federally qualified
46 users has been trending downward over the last decade.
47 Harvest data also suggests that federally qualified
48 users are generally successful on Hawkins and
49 Hinchinbrook. And so, OSM believes that closing the land
50 to non-federally qualified users would not be expected

00013

1 to substantially improve federally qualified users
2 harvest opportunity but would be an unnecessary
3 restriction on non-federally qualified users.

4

5 CHAIRPERSON SKINNER: Thank you. Are
6 there any clarifying questions from Council members?

7

8 MS. HAYDEN: Madam Chair, this [sic]
9 Natasha.

10

11 CHAIRPERSON SKINNER: Okay, we'll take
12 Natasha and then go down to Jeff. Go ahead, Natasha.

13

14 MS. HAYDEN: Thank you. Thanks, Dr.
15 Roberts. The -- I had a question about the downward
16 trend over the last ten years. In the analysis on page
17 122, it's got the chart showing the trend and it looks
18 or sorry, yeah, so figure #3 has got the use of. Non-
19 rural Alaskans going up between '23 and '24. And if you
20 were to draw a straight line between 2015 and 2024 that
21 looks pretty flat. Is that the data that you're referring
22 to when you're saying that it's gone down over the last
23 ten years? Hello?

24

25 CHAIRPERSON SKINNER: Sorry.

26

27 DR. ROBERTS: Sorry, through the Chair.
28 I'm trying to wrap my head around which figure you're
29 looking at. I'm -- I apologize this -- so, this proposal
30 analysis was written not by me.

31

32 MS. HAYDEN: Okay.

33

34 DR. ROBERTS: So, yeah, there are some
35 things that I'm not super familiar with myself on this
36 one. Yeah. So, figure 4, it looks like that's just total
37 all. Let's see.

38

39 MS. HAYDEN: Oh, sorry. Figure 4, yeah,
40 I was.....

41

42 DR. ROBERTS: Yeah, figure four. Other
43 rule users. Yeah, there is a little, let's see, increase
44 between 2023 and 2024. But I think on average from 2015
45 what they're saying is it's exhibiting a somewhat
46 downward trend from 2015 to 2024.

47

48 MS. HAYDEN: Okay. And it's hard to see
49 what that number was in 2015. So, I mean, that's -- it's
50 pretty minimal. If it is indeed lower in 2024 than 20 -

00014

1 - 2015. Is that -- am I looking that correctly?

2

3 (Simultaneous speech)

4

5 DR. ROBERTS: Yeah, I think it's just if
6 you were to do an average of all the points on that
7 line. And then compare 2015 to the average -- the point
8 they're trying to make is that it's gone down a bit
9 during that time.

10

11 MS. HAYDEN: Okay. Thank you.

12

13 DR. ROBERTS: Yep.

14

15 CHAIRPERSON SKINNER: All right, Jeff.

16

17 MR. WASLEY: Jeff Wellesley here. So, the
18 non-rural Alaskans that basically be like, Anchorage?
19 Okay. And on the last point, the trend to me looks like
20 a slight decline for other Alaskans. And generally, the
21 Cordova has been a steady increase. Yes, one -- the last
22 year had a little bump in the other directions, but --
23 so, like people from Valdez is where are they in this?
24 Are they other, other rural users?

25

26 DR. ROBERTS: I believe Valdez is a non-
27 rural. Correct me if I'm wrong.

28

29 MR. WASLEY: Oh, thank you.

30

31 DR. ROBERTS: Give me one second to make
32 sure that's correct. Yeah. Valdez is non-rural. Yeah,
33 yeah.

34

35 CHAIRPERSON SKINNER: Okay. Go ahead,
36 Brett.

37

38 MR. RICHARDSON: Brett Richardson. I have
39 a question. Maybe you said it and I'm sorry I missed it.
40 The state management objectives for deer -- objectives
41 include a population of 24,000 to 28,000. Now, what is
42 -- do we have an idea of what the actual population is
43 rather than just an objective?

44

45 DR. ROBERTS: So, that's a complicated
46 question. I believe they use the deer pellet indices as
47 an index. But the actual numbers I don't think so.

48

49 MR. RICHARDSON: Follow up. So, if the
50 pellets look good, we feel we're at objective.

1
2 DR. ROBERTS: That would be a question
3 that I don't know that I want to answer for the state
4 of Alaska.

5
6 CHAIRPERSON SKINNER: Thanks. Go ahead,
7 Daniel.

8
9 MR. SMITH: Yeah. Thank you, Madam Chair.
10 This is Daniel Smith. I just had a clarifying question
11 regarding proposed regulation. So, on page 113,
12 comparing to 115, August 1st through January 31st, is
13 that the hunting season? And then it doesn't
14 specifically address August 1st through January or
15 August 1st through January 31st on page 113.

16
17 (Pause)

18
19 DR. ROBERTS: Yeah. Through the Chair.
20 Yeah. Are you talking about the -- in the executive
21 summary, on 113? Yes. Okay. Yeah, that's a little
22 confusing. I would refer to the regulations that are
23 shown on 115. So, those are the current federal
24 regulations and the proposed federal regulations, and
25 those are accurate. Yeah, I think that's a mistake in
26 113. So, yeah. Yeah, the season runs from August 1st to
27 January 31st.

28
29 CHAIRPERSON SKINNER: Pat, go ahead.

30
31 MR. HOLMES: Yes. Excuse me, Madam Chair.
32 Little allergies this morning. I would think that we
33 probably -- from our Council meetings on things that are
34 happening in other regions, we've generally abstained.
35 Myself, I think we should not even.....

36
37 (Simultaneous speech)

38
39 CHAIRPERSON SKINNER: Pat right now, Pat,
40 I'm sorry, Pat, right now, we're just on clarifying
41 questions. So, if you have questions on the analysis,
42 we're not at Board discussion yet.

43
44 MR. HOLMES: Okey doke [sic]. I guess my
45 question is, IS it apparent that most of the harvest
46 comes from folks that live in the eastern portion of
47 Prince William Sound? Is that correct?

48
49 DR. ROBERTS: Through the Chair, yeah,
50 about 70% of the average harvest is coming out of Cordova.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

MR. HOLMES: Thank you.

CHAIRPERSON SKINNER: Okay. Are there any further clarifying questions before we move on to report on Board consultation?

(No response)

Okay. Let's move on to the next step, report on Board consultation from tribes and ANCSA corporations.

MS. HONIG: Madam Chair, Leigh Honig for the record, there were no comments received on this one.

CHAIRPERSON SKINNER: Okay. Thank you.

CHAIRPERSON SKINNER: Next up, agency comments. This includes Fish and Game, federal agencies and tribal entities. Are there any comments from the Alaska Department of Fish and Game?

MR. POETTER: Yeah. Madam Chair, Aaron Poetter, for the record. We're in the process of drafting comments for this proposal, so we don't have a position that we're ready to provide. Thank you.

CHAIRPERSON SKINNER: Thank you. Are there any comments from federal agencies?

(No response)

Okay. Seeing and hearing none. Are there any comments from tribal entities, including native, tribal, village or other?

(No response)

Okay. Seeing and hearing none. Moving on to the next step. Advisory Group comments. This includes other Regional Councils, Fish and Game Advisory Committees, and Subsistence Resource Commissions. Are there any comments from advisory groups?

(No response)

Okay. Seeing and hearing none. Next step, summary of written public comments.

00017

1 DR. ROBERTS: Through the Chair, there
2 were no written public comments submitted on this
3 proposal.

4
5 CHAIRPERSON SKINNER: Okay, next up is
6 public testimony. Is there any public in the room or
7 online who wishes to give public testimony on this
8 proposal?

9
10 (No response)

11
12 Okay. We are up to Regional Council
13 recommendations, so I'd be looking for a motion from the
14 Council. You can move to support or since this is for
15 activity not occurring in our region, you could also
16 move to take no action and defer to the home region. So,
17 is there any Council action on WP26-15?

18
19 MR. HOLMES: Move to take no action.

20
21 CHAIRPERSON SKINNER: Thank you, Pat. Is
22 there a second?

23
24 MS. CHERNOFF: Second.

25
26 CHAIRPERSON SKINNER: Thank you. Pat,
27 would you like to speak to your motion?

28
29 MR. HOLMES: Yes, ma'am. You know,
30 through the 25 years or so I've been on the Council, we
31 have usually not commented on other regions unless it
32 was something that overlapped with us. The decline on
33 the harvest is about 10%, and the change for other users
34 is about 10%. I think this would be equivalent to folks
35 up in Cordova, Valdez, taking -- making a recommendation
36 on how we would change our harvest on Raspberry Island.
37 And so, it's nitpicking against what we really -- it
38 really doesn't matter to us because we don't have folks
39 up there and I think we should just let it go and see
40 what the folks up there want to do. Thank you.

41
42 CHAIRPERSON SKINNER: Carol. Go ahead.

43
44 MS. CHERNOFF: Yeah, I guess I'm sitting
45 right now at this point, that I would not be in favor
46 of taking no action, just because I think these are
47 federal public lands and I just don't feel that according
48 to the data, it would be necessary to shut down lands
49 to non-federally qualified users. And I guess, like, I
50 think the data doesn't show us that that's necessary.

1 And I feel like federal public lands -- we need to allow
2 people to access federally public lands -- federal
3 public lands. Thank you.

4

5 CHAIRPERSON SKINNER: Further comments
6 or discussion. Go ahead, Jeff.

7

8 MR. WASLEY: Jeff Wasley here. I strongly
9 oppose this thing. But as Pat said, it's not really, I
10 think, in our purview out here. And like his point of
11 them, like, why would we want them weighing in on
12 something local for us? But, overall, if the data doesn't
13 show the need for it, I can't see like, why people in
14 especially in like, Valdez, why they couldn't go down
15 there and hunt deer on public land for a resource that,
16 you know, is not really hurting at the time. And I'm
17 sure they have a traditional use of it too. And I would
18 say the same for folks from Anchorage and Whittier,
19 Girdwood, etc. I'm sure plenty of people go out on Prince
20 William Sound to get their resources. So, thank you.

21

22 CHAIRPERSON SKINNER: Okay, further
23 comments or discussion.

24

25 MS. HAYDEN: Madam Chair, this Natasha

26

27 CHAIRPERSON SKINNER: Go ahead, Natasha.

28

29 MS. HAYDEN: So, for the record, Natasha
30 Hayden. I think my comments are going to -- well, my
31 comment, I have a different perspective of this. I see
32 that this proposal was submitted by the Native Village
33 of Eyak and their people have inhabited Prince William
34 Sound for thousands of years. And I think that in
35 recognition of the indigenous knowledge and traditional
36 knowledge that their people hold, that I would not
37 support this proposal. And I also don't see it the same
38 as that if somebody from a different region were to be
39 trying to impose their perspective or their desires onto
40 our region, I think that it is -- the way that I see it
41 is, is that this was submitted by the indigenous people
42 of that region for very good reasons. And that there's
43 -- my experience as a tribal Council person, is that our
44 tribes are swimming upstream in Alaska and that they
45 have been working to pull all of the levers available
46 to them to try to make sure that their people are able
47 to get their needs met and that this is one of them. And
48 I should ask this question earlier but I think that only
49 about 50% of the land on those islands is federal land.
50 So, I'm assuming that the rest of the land on those

1 islands is probably state-owned land which would then -
2 - so, it wouldn't be limiting access to the entire
3 populations. And so, those are my comments. I'm not
4 supportive of this proposal but maybe it would be good
5 to get some clarifying -- clarification on how much of
6 those -- the landmass is actually included in federal
7 lands.

8
9 CHAIRPERSON SKINNER: Okay. Thank you,
10 Natasha. So, just a reminder that the motion on the
11 floor is to take no action. So, if Council members could
12 focus their comments on the motion on the floor, if we
13 or when we vote on the motion, if the motion fails.
14 Somebody can make a different motion and then we will
15 focus on that. I see Jason back at the table. Did you
16 have something you want to share?

17
18 DR. ROBERTS: I was just going to answer
19 Natasha's question.

20
21 CHAIRPERSON SKINNER: Okay. Go ahead.

22
23 DR. ROBERTS: Through the Chair, Jason
24 Roberts. So, if you look on page 115 under the heading
25 Extent of Federal Public Lands, it shows that Unit 6D
26 is about 75% federal public lands. And then Hawkins and
27 Hinchinbrook Islands, which are what we're focused on
28 in this proposal. That's about 93% federal public lands
29 almost entirely managed by the U.S. Forest Service.

30
31 CHAIRPERSON SKINNER: Great, thank you.
32 Coral, go ahead.

33
34 MS. CHERNOFF: And I forgot to add that
35 I feel like since the current state regulations is non-
36 resident hunters can get up to four deer, which seems
37 like a lot. That is another avenue that they could go
38 down too, if they feel like they're not getting enough
39 deer in their area. And I feel like that avenue is there
40 for them to approach rather than cutting off non-federal
41 users.

42
43 CHAIRPERSON SKINNER: Okay. I'll go ahead
44 and make my comments. I do intend to support the motion,
45 to take no action and defer to the home region. To my
46 knowledge, I don't know of any people from the KARAC
47 region that go up and hunt in unit -- for Unit 6D deer.
48 I do think it was appropriate to include this crossover
49 proposal on our agenda, because people that live in our
50 region can go there to hunt. I'm just not aware of any

00020

1 people that do go there to hunt. So, I'm comfortable
2 deferring to the home region to whatever decision the
3 home region makes. So, I do plan to support the motion
4 on the floor, which is to take no action and defer to
5 the -- well, Pat didn't say defer to the home region,
6 but in essence, that's what taking no action is going
7 to do. Is there a further comments or discussion before
8 we vote?

9

10 (No response)

11

12 Okay. Let's go ahead and do a roll call
13 on this one. And I'm sorry. Again, the motion is to take
14 no action on proposal WP26-15.

15

16 MS. HONIG: Leigh Honig, for the record,
17 I will start off with Jeff Wasley. How do you vote?

18

19 MR. WASLEY: Yes.

20

21 MS. HONIG: Pat Holmes.

22

23 MR. HOLMES: Yes, to defer.

24

25 MS. HONIG: Coral Chernoff.

26

27 MS. CHERNOFF: No.

28

29 MS. HONIG: Rebecca Skinner.

30

31 MS. SKINNER: Yes.

32

33 MS. HONIG: Daniel Smith.

34

35 MR. SMITH: Yes.

36

37 MS. HONIG: Natasha Hayden.

38

39 MS. HAYDEN: No.

40

41 MS. HONIG: Brett Richardson.

42

43 MR. RICHARDSON: Yes.

44

45 MS. HONIG: Madam. Chair, the vote passes
46 with 5 yays to 2 nays

47

48 CHAIRPERSON SKINNER: Okay. Thank you.
49 Moving on to the next item, WP26-16, Unit 6 beaver.
50 Increase possession limit and extend hunting season. And

1 we have Kendra Holman at the table.

2

3 MS. HOLMAN: Good morning, Madam Chair,
4 members of the Council. Kendra Holman, for the record.
5 So, this will be a summary of wildlife proposal WP 26-
6 16, regarding Beaver and Unit 6. This proposal was
7 submitted by the Southcentral Alaska Subsistence
8 Regional Advisory Council, requesting to change the two
9 federal beaver hunting regulations in Unit 6. First, to
10 increase the possession limit from 1 beaver to 3. And
11 second, to extend the season from the current May through
12 October, to a year-round season. This intent is to better
13 align with traditional subsistence practices, which is
14 more opportunistic in nature. This would allow hunters
15 to take beavers whenever they are encountered and give
16 flexibility to those on multi-day trips who may not be
17 able to process their harvest immediately. The last
18 regulatory change for beavers was in 2001. Currently,
19 the federal harvest limit is 1 beaver per day, with 1
20 in possession from May through October. Federal trapping
21 regulations allow unlimited harvest from December
22 through April. There is no state season in Unit 6 but
23 there is no trapping limit from -- during the November
24 to April season. Beavers are not rigorously surveyed in
25 Unit 6 and most information comes from incidental
26 observations. Based on this information, beavers are
27 considered abundant in Unit 6, especially in Sub-Units
28 6A through 6C. Harvest is assessed as sustainable,
29 averaging about 60 beavers per year since 2002, with
30 over 90% being taken by trapping. Very few are harvested
31 by firearms and there are no indications of population
32 decline. On page 131 you can find table 1, which includes
33 harvest and method information.

34

35 If adopted, this proposal would allow
36 federally qualified subsistence users to hunt beaver
37 year-round and keep up to 3 in possession at a time.
38 Because trapping only allowed -- because trapping
39 already allows unlimited harvest and very few beaver
40 taken under hunting regulations, only a minimal increase
41 in harvest is expected. No conservation concerns have
42 been identified, as Unit 6 is about 75% federal public
43 lands. These changes would benefit a wide range of
44 subsistence users. OSM's preliminary conclusion is to
45 support this proposal as it increases subsistence
46 opportunity, supports traditional practices and poses
47 no conservation concern.

48

49 CHAIRPERSON SKINNER: Thank you. Are
50 there any clarifying questions from Council members about

00022

1 the report on the analysis or the analysis?

2

3 (No response)

4

5 Okay seeing and hearing none. We will
6 go on to step two, which is report on Board consultation
7 with tribes and ANCSA Corporations.

8

9 MS. HONIG: Madam Chair, Leigh Honig for
10 the record, there were no comments received.

11

12 CHAIRPERSON SKINNER: Thank you, step 3
13 agency comments. This includes Fish and Game, federal
14 agencies and tribal entities. Are there any comments
15 from the Alaska Department of Fish and Game?

16

17 MR. POETTER: Yeah. Thank you, Madam
18 Chair. Aaron Poetter for the record, we're again still
19 in the process of drafting comments for this particular
20 proposal. So, no comments at this time. Thank you.

21

22 CHAIRPERSON SKINNER: Okay. All right.
23 All right. Are there any comments from federal agencies.

24

25 (No response)

26

27 Seeing and hearing none. Are there any
28 comments from tribal entities including Native, tribal,
29 village and other.

30

31 (No response)

32

33 Seeing and hearing none. Next Step
34 Advisory Group comments. This includes other Regional
35 Councils, Fish and Game Advisory Committees, and
36 Subsistence Resource Commissions. Are there any comments
37 from advisory groups?

38

39 MS. HOLMAN: Madam Chair, Kendra Holman
40 through the record, there -- you are the first RAC to
41 hear this proposal. So, there is no comments from any
42 other Councils. And I do not believe we've received any
43 comments from any other organizations or groups.

44

45 CHAIRPERSON SKINNER: Okay. Thank you.
46 Next up, summary of written public comments.

47

48 MS. HOLMAN: I don't think there are.
49 Madam Chair, there were no written public comments
50 received on this one, to my knowledge.

00023

1
2 CHAIRPERSON SKINNER: Thank you. Next up,
3 public testimony. Are there any people in the room or
4 online who wish to give public testimony on proposal
5 WP26-16 Unit 6 beaver.

6
7 (No response)

8
9 Okay. Seeing and hearing none. We're at
10 the point for Regional Council recommendations. I would
11 look for either a motion to support the proposal or a
12 motion to take no action and defer to the home region.
13 Does the Council wish to take action on this proposal?
14 Oh, Pat, go ahead.

15
16 MR. HOLMES: Oh, I move that we take no
17 action on this. With the same logic that we discussed
18 on the previous one. It's basically not our turf. I
19 empathize completely with them, but I think it should
20 be up to the folks that live in that region. Thank you.

21
22 CHAIRPERSON SKINNER: Thanks. Is there a
23 second?

24
25 MR. SMITH: Second.

26
27 CHAIRPERSON SKINNER: Okay, we have a
28 motion and a second. The motion is to take no action on
29 proposal WP26-16. Discussion and comments.

30
31 (No response)

32
33 Okay. If there's no discussion and
34 comments, I will say for the record, I would -- the same
35 reasons I gave for the last proposal. I am not aware of
36 people from the KARAC region that participate in the
37 Unit 6 beaver harvest. So, I am comfortable not taking
38 action at the KARAC level and deferring to the home
39 region. For the record, is there any other comments or
40 discussions?

41
42 (No response)

43
44 Okay. Seeing and hearing none. Is there
45 any objection to the motion?

46
47 (No response)

48
49 Seeing and hearing none. That motion
50 passes unanimously.

1

2

(Pause)

3

4

5

Okay. That takes us to proposal WP26-36
Unit 9 wolverine, modify hunting season dates and we
have Kendra Holman at the table.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

MS. HOLMAN: Good morning, Madam Chair.
Again, for the record, this is Kendra Holman, wildlife
biologist with OSM. This is the presentation for summary
of wildlife analysis WP26-36, can be found starting on
page 135 of your meeting book. WP26-36 was submissive -
- submitted by the Bristol Bay Subsistence Regional
Advisory Council, requesting to shorten the wolverine
season in Unit 9 to match the state season of September
1st to the last day of February. The proponent states
that the Alaska Board of Game adopted proposal 22 at
their January 2025 meeting to shorten the Unit 9
wolverine season to close the last day of February,
effective July 21st, 2025. Federal regulations for
wolverine hunting in Unit 9 transferred from the state
regulations in 1990, when the federal subsistence
program began. The hunting season and harvest limit have
remained the same since that time. In 2023, the Board
adopted a proposal allowing snowmachines to be used to
approach and pursue a wolf or wolverine, provided that
the snow machine does not contact a live animal in Units
9B, 9C and 17. In January 2025, the Board of Game adopt
proposal 22, shortening the wolverine season and all of
Unit 9 by changing the end date from March 31st to the
last day of February. The Board of Game supported
protecting the wolverines during the denning season and
aligning the close of Unit 9 hunting season, to the
close of the wolverine trapping season and four of the
Unit 9 subunits. Wolverines are present throughout Unit
9, although no population estimates have ever been
conducted. Wolverine abundance remains unquantified due
to the impracticality of formal assessment. Low
densities appear to be confirmed by trappers who report
wolverines in Units 9 and 17 are scarce, but stable.
Female wolverines have 2 to 3 kits per litter in their
den. And maybe nursing at the end of February and into
March. Due to their low reproductive rates, wolverines
can be susceptible to overharvest and heavily trapped
areas with no neighboring refugia for a source
protection -- population. Across Alaska, both wolves and
wolverines are highly prized for their fur, which is
used to trim locally made parkas and other items for
clothing and handicrafts. While not as prominent an
activity in the past, rural residents still participate

1 in trapping as a source of income in the Bristol Bay
2 region, particularly for wolverine. A common pattern
3 described in most reports is that a smaller percentage
4 of households in each community report harvest or
5 attempted harvest and use of fur bears than those
6 reporting harvest and use of salmon and large land
7 mammals like caribou and moose. In most cases, only a
8 few households reported are responsible for the majority
9 of the harvest and use of furbearers, likely in
10 association with keeping a trap line.

11
12 Wolverine harvest and trapper numbers
13 have declined over the last decade. In Unit 9, harvest
14 averaged 60 wolverines per year in the mid-90s and is
15 now declined to 17 wolverines per three year rolling
16 average in recent years. Figure 1, which can be found
17 on one page 139 of your meeting book, includes some
18 information about -- some harvest information. So, from
19 2019 to 2023, March was the third highest reported
20 harvest, as well as 40% of the harvest being comprised
21 of females. Between regulatory years 2012 and 2021, 10%
22 of the wolverine harvest in Unit 9 occurred in March on
23 average. This can be found in figure 2 on page 140 of
24 your meeting book. Wolverine harvest can vary from year
25 to year, reflecting trapper effort and the very -- that
26 varies with travel conditions. Well, this proposal
27 decreases subsistence opportunity for federally
28 qualified subsistence users by shortening the federal
29 season for wolverines in Unit 9 by one month, there is
30 no apparent conservation concern for Unit 9 wolverines,
31 shortening the season could protect denning females and
32 potentially entire litters. Adopting this proposal would
33 also decrease regulatory complexity and confusion for
34 hunters. The OSM preliminary conclusion on this proposal
35 is neutral. And again so, this would affect Unit 9D
36 within this region. So, thank you Madam Chair, members
37 of the Council, I'll be happy to address any questions.

38
39 CHAIRPERSON SKINNER: Thank you. Are
40 there any clarifying questions? I do have one. This
41 proposal is specific to hunting and the wolverine
42 trapping would continue as is. So, there's no change to
43 the trapping regulations. Is that...?

44
45 MS. HOLMAN: Through the -- yes, Madam
46 Chair, that is correct. Is just the wolverine hunting.

47
48 CHAIRPERSON SKINNER: Okay. Are there any
49 other clarifying questions? Okay. And then to note that
50 this particular proposal is -- it does include Unit 9D,

1 which is within the KARAC region. So, we probably should
2 comment, but I'll leave that up to the Council. Okay.
3 If there's no -- you do have a clarifying question? Go
4 ahead, Daniel.

5
6 MR. SMITH: Yeah, thank you, Madam Chair.
7 This is Daniel Smith. So, for Unit 9, was there any data
8 specific with Unit 9D, since that is in our region? And
9 I guess how does that compare with, like, you know, 9E,
10 9B, 9A?

11
12 MS. HOLMAN: Through the Chair member
13 Smith, there is no data breaking -- in fact, most of the
14 data that we were able to find is actually based on the
15 State's regions, which is significantly larger. And so,
16 there is really very -- we didn't find anything in Unit
17 9D. I don't know if for any reason the refuge might have
18 any information or knowledge, but they may not as well.
19 That would be the closest that we could maybe have.

20
21 CHAIRPERSON SKINNER: Okay. Are there any
22 other clarifying questions from Council members?

23
24 (No response)

25
26 Okay. Moving on to the next step. Report
27 on Board consultation with tribes and ANCSA
28 Corporations.

29
30 MS. HONIG: Madam Chair, Leigh Honig for
31 the record, no comments were received.

32
33 CHAIRPERSON SKINNER: Thank you. Next up,
34 agency comments. This includes Fish and Game, federal
35 agencies and tribal entities. Are there any comments
36 from the Alaska Department of Fish and Game?

37
38 MR. POETTER: Yeah, Madam Chair, Aaron
39 Poetter with the Department of Fish and Game. As this
40 proposal seeks to align opportunity that the State's
41 already providing. We don't have any conservation
42 concerns. Thank you.

43
44 CHAIRPERSON SKINNER: Thank you. Are
45 there any comments from federal agencies?

46
47 (No response)

48
49 Seeing and hearing none. Are there any
50 comments from tribal entities including Native, tribal

00027

1 village, and other.

2

3 (No response)

4

5 Seeing and hearing none. Next step
6 advisory group comments. This includes other regional
7 Councils, Fish and Game advisory committees and
8 subsistence resource commissions. Are there any comments
9 from advisory groups?

10

11 MS. HOLMAN: Kendra Harmon through the
12 record. Madam Chair, there have been none received at
13 this point.

14

15 CHAIRPERSON SKINNER: Thank you. Next up,
16 summary of written public comments.

17

18 MS. HOLMAN: Again, Madam Chair, Kenra
19 Holman, through the record -- for the record. There were
20 no written public comments received on this proposal.

21

22 CHAIRPERSON SKINNER: All right. Next up
23 is public testimony. Is there anyone in the room or
24 online who wishes to give public testimony on WP26-36,
25 Unit 9 wolverine.

26

27 (No response)

28

29 Okay seeing or hearing none. We are up
30 to Regional Council recommendation. Here I would look
31 for a motion to support or a motion to take no action.
32 Coral, go ahead.

33

34 MS. CHERNOFF: Move to support wildlife
35 proposal WP26-36.

36

37 CHAIRPERSON SKINNER: Thank you. Is there
38 a second?

39

40 MR. HOLMES: Second.

41

42 CHAIRPERSON SKINNER: Okay, we have --
43 okay, we have a motion and a second. Coral, do you want
44 to speak to your motion?

45

46 MS. CHERNOFF: Yes. I am seeking to
47 oppose this motion for a couple reasons. There's no
48 biological reason or conservation concern. And the
49 trapping season for both federal and state is -- has no
50 limit on wolverines, so I don't see any reason to shorten

00028

1 the season which decreases opportunity for federal
2 subsistence users.

3
4 CHAIRPERSON SKINNER: Thank you. Is there
5 additional comment and discussion?

6
7 MR. HOLMES: Madam Chair.

8
9 CHAIRPERSON SKINNER: Go ahead, Pat.

10
11 MR. HOLMES: I would support this in
12 chatting with some of their members of the Bristol Bay
13 RAC this fall. Their concerns are that there's been a
14 shift in harvesting more females and that the harvest
15 of wolverines fur is you know, a very, very, very
16 important item for their handicraft folks. I can
17 remember back at statehood getting to where somebody's
18 (indiscernible) up in North Pole and they had the
19 wolverine rough on the inside, and it didn't frost up
20 even at 60 below. And so, that's a really important
21 thing for local folks and their local handicrafts. And
22 I think that we should support their Council. And I
23 imagine there's occasionally a few folks from Gulf of
24 Alaska Kodiak that are working up in there in the winter.
25 But I think it's primarily a concern for the folks in
26 Dillingham, Naknek, Kwiguk. And I think it's really
27 important to them. And they've supported us on some of
28 our requests for FRMPs and other things. So, I feel that
29 we should give them our hearty support and urge adoption
30 of that proposal. Thank you, Madam Chair.

31
32 CHAIRPERSON SKINNER: Thank you. Further
33 comments and discussion. Okay, I will make some
34 comments. I do plan to vote in favor of the motion. I -
35 - the things I'm considering is that there seems to be
36 rather, I guess I'll use the word sparse data on the
37 wolverine. This is not a very dense species, and I do
38 find the concerns around the denning season and giving
39 the wolverine a break during denning season to be
40 compelling. I also think that the changes around use of
41 snow machines to hunt wolverine so hunting versus
42 trapping is a huge technological advantage to the
43 hunter. So, I am also taking that into account in
44 supporting this proposal, which it does reduce the
45 hunting season for wolverine but it gives the wolverine
46 a break during denning season. And I do give weight to
47 the fact that the Bristol Bay RAC, in which the rest of
48 Unit 9 occurs within their territory that they actually
49 put this forward. So, those are my comments. Are there
50 additional comments or discussion from Council members?

00029

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

(No response)

Okay. Let's do a vote on this. Oh, sorry. Go ahead, Jeff.

MR. WASLEY: Jeff here. Just clarification on exactly what stance we're voting on.

CHAIRPERSON SKINNER: I'm sorry, what was your question?

MR. WASLEY: Are we supporting the motion or...?

CHAIRPERSON SKINNER: Oh, sorry. Yes, the motion was to support the proposal.

MR. WASLEY: Okay. Thank you.

MS. HONIG: Leigh Honig, for the record. To start off the voice vote, Jeff Wasley, how do you vote?

MR. WASLEY: Yes, thanks.

MS. HONIG: Pat Holmes.

MR. HOLMES: Yes.

MS. HONIG: Coral Chernoff.

MS. CHERNOFF: No.

MS. HONIG: Rebecca Skinner.

CHAIRPERSON SKINNER: Yes.

MS. HONIG: Daniel Smith.

MR. SMITH: Yes.

MS. HONIG: Natasha Hayden.

MS. HAYDEN: Yes.

MS. HONIG: And Brett Richardson.

MR. RICHARDSON: Yes.

1 MS. HONIG: Madam Chair, the vote carries
2 with 6 yays to 1 nay.

3
4 CHAIRPERSON SKINNER: Okay. Moving on to
5 the next proposal. And I think after this proposal,
6 unless it goes super, super quick, we'll -- actually,
7 we are going to take a break after this next proposal.
8 Okay. So, moving on to proposal WP26-37, Units 9 and 17
9 beaver, modified trapping season dates and method and
10 means. And we have Kendra Holman at the table.

11
12 MS. HOLMAN: Good morning again through
13 the Chair, members of the Council. For the record, this
14 is Kendra Holman, wildlife biologist with OSM. So, this
15 is a summary of the analysis for wildlife proposal WP26-
16 37, can be found starting on page 143 of your meeting
17 books. This proposal was submitted by the Bristol Bay
18 Regional Advisory Council, requesting to remove the
19 firearms restriction for beaver trapping in Unit 9 and
20 17. This proposal is a simplification of regulations and
21 aligns with the recent changes to state regulations
22 through the adoption of state proposals W -- excuse me,
23 state proposals 21 and 37, in January of 2025. The
24 simplification would be easier for users by matching
25 state and federal regulations, as well as removing
26 unclear regulations regarding beaver and Unit 9. So,
27 federal subsistence trapping regulations for beaver in
28 Units 9 and 17 were adopted from state trapping
29 regulations in 1990, the federal subsistence management
30 -- when the program Federal Subsistence Program began.
31 Since 1990 seasons and harvest limits and methods and
32 means have been extended [sic] -- expanded to
33 accommodate the need of subsistence users and expanding
34 beaver populations in the Bristol Bay area. In 1997, the
35 Board of Game modified beaver trapping regulations in
36 Unit 17. Sorry, I'm gonna [sic] skip the Unit 17 here.
37 Unless you would like to hear it, but -- so, in 2023,
38 the Federal Subsistence Board adopted a proposal with
39 modification to increase beaver trapping limit to no
40 limit in Units 9 and 17. The two beaver per day firearm
41 restriction also then applied in Unit 9.

42
43 Biologic information for Unit 9. The
44 most productive beaver habitat in the Unit has a
45 dependable water supply with little fluctuation in
46 stream flows and is adjacent to abundant and easily
47 accessible willows, aspen, cottonwood, and birch
48 vegetation. Beavers are found at sea level up to
49 elevations of about 2000ft. Biological information for
50 beavers in Unit 9 is sparse. However, local residents,

1 as well as federal and state biologists have noticed the
2 beaver population has been increasing within the Unit.
3 ADFG considers beaver populations in Unit 9 to be healthy
4 with no conservation concerns. Season closures in Unit
5 17 have occurred since the 1900s to allow -- sorry,
6 that's a weird note in there. I'm not sure what I put.
7 Sorry. So, Okay. Unit 9 harvest has declined 80% from
8 an annual harvest of 460 in the 1970s to 90 in the 2010s,
9 and 73 annually from 2012 to 2023. This information can
10 be found in figure 1 on page 149 of your meeting book.
11 Harvest reductions in the 1990s and preliminary -- was
12 preliminarily attributed to reduced prices in pelts,
13 high costs in both effort and expenses, and diminished
14 trapping interest among village residents. Poor trapping
15 and travel conditions likely contribute to recent
16 reductions in harvest.

17
18 One alternative considered was to
19 eliminate the statewide prohibition on taking a beavers
20 by firearm under a trapping license. So, if you look at
21 page 145, there are some additional relevant federal
22 regulations regarding this proposal that made us think
23 a little bit. Current federal regulations are more
24 restrictive than state regulations, which allow beaver
25 to be taken by firearm under a trapping license statewide
26 pursuant to Unit specific seasons and harvest limits.
27 Removing this prohibition would increase federally
28 qualified subsistence user opportunities statewide and
29 reduce regulatory complexity. However, this is outside
30 the scope of the analysis, and a proposal would need to
31 be submitted in the future. Since federal regulations
32 prohibit the take of firearm under a trapping license
33 except as provided in Unit specific regulations. Another
34 alternative was considered, to allow the take of beaver
35 by firearm consistent with the trapping season and
36 harvest limits within Units 9 and 17 Unit specific
37 regulations. This alternative would meet the intent of
38 the proponent by increasing opportunity for federally
39 qualified subsistence users. So, if proposal WP26-37 is
40 adopted as proposed, Units 9 and 17 would revert to the
41 General Regulation, which completely prohibits the take
42 of fire the take of beaver by firearm under trapping
43 license. This does not meet intent of the proponent and
44 increases -- intent of the proponent to increase
45 opportunity and align state and federal regulations.
46 However, users may already harvest an unlimited number
47 of beaver by firearm during the entire trapping season
48 on most federal lands under state regulations. No
49 impacts to the beaver population are expected. There are
50 no conservation concerns for beaver in either Unit and

1 the vast majority of beaver are harvested via trap and
2 snare, not firearm. This can be found in figures 2 and
3 3 on page 150 of your meeting book.

4
5 Any regulations affect changing -- any
6 regulation change affecting the take of furbearers by
7 firearm under trapping license would not apply to
8 National Park Service lands within Units 9 and 17, so,
9 this would be Lake Clark, Katmai, Aniakchak. Regulation
10 references to this can be found in your meeting book.
11 This proposal is to increase subsistence opportunity and
12 decrease regulatory complexity. And there are no
13 conservation concerns. So, because of this relevant
14 regulation that we have, OSM conclude -- preliminary
15 conclusion is to support WP26-37 with modification to
16 allow the take of beavers by firearm under a trapping
17 license in the Unit specific provisions for Units 9 and
18 17. This modification is what is required to meet the
19 proponent's intent of increasing opportunity and
20 aligning the state and federal regulations. Thank you,
21 Madam Chair, members of the Council. I'll be happy to
22 address any questions.

23
24 CHAIRPERSON SKINNER: Okay. Thank you. I
25 am having a hard time wrapping my mind around what this
26 proposal is doing. Is it more restrictive? Is it more
27 conservative? And I think your discussion about the OSM
28 modification kind of helped. But I want to understand
29 as written, is the proposal -- it would result in being
30 more restrictive. Am I understanding that correctly?

31
32 MS. HOLMAN: Yes, Madam Chair.

33
34 CHAIRPERSON SKINNER: Okay, but the
35 intent of the proposers was to be less restrictive.

36
37 MS. HOLMAN: Correct, Madam Chair.

38
39 CHAIRPERSON SKINNER: Okay, all right.
40 Are there other clarifying questions from Council
41 members before we move on to the next step? Go ahead,
42 Jeff.

43
44 MR. WASLEY: Jeff Wasley here. I don't
45 believe in 9D that we have beavers. So, if this isn't
46 applicable to our region, can we pass on it?

47
48 CHAIRPERSON SKINNER: Did you ask if we can
49 take no action? Yeah. Yes. When we get to that point, that
50 will be an option that we can do. Okay. Go ahead, Brett.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

MR. RICHARDSON: Brett Richardson. Maybe this is a silly question but (distortion) what is the definition of trapping versus hunting?

MS. HOLMAN: So, Member Richardson through the Chair. So, the definition of trapping is meaning the take of furbearers within established trapping seasons with a required trapping license. And hunting means the taking of wildlife within an established hunting season, with archery equipment or firearm as authorized by the required hunting license.

CHAIRPERSON SKINNER: As a follow up to that, and I'm pretty sure you just said this, but just to clarify, under federal regs, can you use a firearm with trap in a -- does it say a trapping hunt? That's not correct while you're trapping.

MS. HOLMAN: So, Madam Chair, the relevant regulation makes it so that under general regulations, you cannot. If there is a provision within Unit specific regulations, you can use a firearm with your trapping license.

CHAIRPERSON SKINNER: Okay. And then just generally because I really appreciate that question on the state side in Kodiak, when the AC talked about changes last year, we were talking about trapping, but people kept talking about firearms. And I was like, why are you talking about firearms with trapping? But, apparently on the state side, at least the ones we were talking about, you can use a firearm while you're trapping. So, there was -- I was having a hard time drawing a distinction between the trapping and the hunting. So, I appreciate your question because that is exactly where I was confused last year. Okay. Are there additional clarifying questions before we move on to the next step? Oh, sorry Pat, you have your hand up. Go ahead, Pat.

MR. HOLMES: I just would like to as far as firearms and trapping again, way back in my youth it's actually more humane if you have a beaver in the trap to take it with a weapon. Because basically trapping you have to -- they drowned. And so, it's heartbreaking if you have empathy for the critters to have one in your trap and have a 30 pounder and you know, you can't very well choke them. You'd either let them drown or pop them with a .22. And so, anyway, when we get a little further

00034

1 along the line, I just wanted to clarify that quite
2 often the firearm is a humane way to take care of the
3 critter and rather than let them drown.

4
5 CHAIRPERSON SKINNER: Are there any
6 clarifying questions from Council members before we move
7 on to the next step?

8
9 (No response)

10
11 Okay. Seeing and hearing none. Next
12 step, report on Board consultation with tribes and ANCSA
13 Corporation.

14
15 MS. HONIG: Madam Chair, Leigh Honig, no
16 comments were received.

17
18 CHAIRPERSON SKINNER: Next up, agency
19 comments. This includes Fish and Game, federal agencies
20 and tribal entities. Are there any comments from the
21 Alaska Department of Fish and Game?

22
23 MR. POETTER: Yeah, through the Chair.
24 Aaron Poetter for the record, as this proposal seeks
25 to align state and federal regs with opportunity states
26 already providing we don't have any conservation
27 concerns. And I did want to mention that we do have
28 various staff available to speak to this if need be.
29 Thank you.

30
31 CHAIRPERSON SKINNER: Thank you for that.
32 Yeah, when we get to Council discussion, if people have
33 questions for Alaska Department of Fish and Game staff,
34 I think that would be the appropriate time to get that
35 information. Are there any comments from federal
36 agencies?

37
38 (No response)

39
40 Seeing and hearing none. Are there any
41 comments from tribal entities including Native, tribal
42 village and other?

43
44 (No response)

45
46 Seeing and hearing none. Are there any
47 comments from advisory groups which includes other
48 Regional Councils, Fish and Game Advisory Committees and
49 Subsistence Resource Commissions?

50

1 MS. HOLMAN: All right. Kendra Holman
2 through the record -- for the record, Madam Chair there
3 have been no other regional advisory Councils who have
4 heard this proposal and we've not received anything from
5 any other organizations or entities.

6
7 CHAIRPERSON SKINNER: Thank you. Next
8 step. Summary of written public comments.

9
10 MS. HOLMAN: Again, Kendra Holman, for
11 the record. There were no written public comments
12 received.

13
14 CHAIRPERSON SKINNER: Thank you. Next up,
15 public testimony. Do we have any public, either in the
16 room or online, that wish to give public testimony on
17 this proposal?

18
19 (No response)

20
21 All right. Next step. Regional Council
22 recommendation. I would look for a motion to support the
23 proposal or a motion to take no action. Oh, okay. Pat,
24 go ahead.

25
26 MR. HOLMES: Madam Chair, I move that we
27 support the proposal as the suggested modification from
28 OSM.

29
30 CHAIRPERSON SKINNER: Thank you. Is there
31 a second?

32
33 MR. RICHARDSON: I'll second.

34
35 CHAIRPERSON SKINNER: Thank you. We have
36 a motion, a second. Pat, would you like to speak to your
37 motion?

38
39 MR. HOLMES: Yes, ma'am. There -- Jeff
40 made the comment there weren't any beaver in Unit 9,
41 most of it there isn't. But up in the northeastern
42 portion of it there are. My rationale in supporting this
43 would be the same as supporting the Bristol Bay RAC on
44 the previous issue and I think it would be a humane and
45 certain way to do harvest. One of the things that was
46 mentioned in the discussion is that beaver dams can --
47 it provides habitat, but it also, inhibits the upstream
48 migration of larger salmon like kings that really can't
49 go and flop over a dam or make their way past like
50 silvers can. And so, I think that this overall would be

00036

1 a positive thing for their region. And anyway, so that
2 that would be my rationale in supporting the motion as
3 proposed. Thank you, Madam Chair.

4

5 CHAIRPERSON SKINNER: Thank you. Further
6 comments and discussion. Go ahead, Jeff.

7

8 MR. WASLEY: Jeff Wasley, was just
9 clarifying that in 9D, we do not have beavers. So, that's
10 why I said if we had no comment. But I support Pat's
11 what he just said, and supporting our neighbors in
12 Bristol Bay. Thank you.

13

14 CHAIRPERSON SKINNER: Okay, further
15 comments and discussion. Go ahead, Coral.

16

17 MS. CHERNOFF: I guess I will not be
18 voting for this. I guess for reasons that people talked
19 about in previous proposals where it's their area and I
20 guess that's why.

21

22 CHAIRPERSON SKINNER: Thanks. Further
23 comment and discussion?

24

25 (No response)

26

27 So, I'll make my comments. I think that
28 this does provide -- with the OSM modification, it does
29 provide more options and more opportunity for
30 subsistence beaver hunt in Unit 9. I guess I'm a little
31 unclear if we actually have beaver in the KARAC region
32 or not. But because this proposal includes all of Unit
33 9, I'm comfortable supporting the motion. Coral, go
34 ahead.

35

36 MS. CHERNOFF: Yeah. I just want to
37 clarify, was the motion with the modification or was the
38 motion the motion the proposal?

39

40 CHAIRPERSON SKINNER: Yes, the motion was
41 to support the proposal with OSM modification. Okay. Are
42 there any other -- go ahead, Brett.

43

44 MR. RICHARDSON: Brett Richardson. Yeah,
45 I would support the motion if it increases opportunity
46 for qualified users.

47

48 CHAIRPERSON SKINNER: Thank you. Further
49 discussion or comments. Go ahead, Daniel.

50

00037

1 MR. SMITH: Yeah. Thank you, Madam Chair,
2 this is Daniel Smith. I would also be supportive and for
3 the reasons as mentioned.

4
5 CHAIRPERSON SKINNER: Thanks. Further
6 comment and discussion.

7
8 MR. HOLMES: Madam Chair.

9
10 CHAIRPERSON SKINNER: Yes. Go ahead, Pat.

11
12 MR. HOLMES: Pat. just wanted to add
13 beaver trapping and the whole discussion. One other item
14 that is important to people that do it on a regular
15 basis is not only taking the fur but taking the beaver
16 for food. And there's -- they're downright yummy,
17 they're just as good as muskrats. And I've got a couple
18 recipes in my old cookbook for beaver tail and it's
19 quite a desirable food item for folks that go after an
20 on a regular basis. So, I'm just a little support in
21 that angle. Thank you, Madam Chair.

22
23 CHAIRPERSON SKINNER: Okay. Is there any
24 final comments and discussion before we take a vote?

25
26 (No response)

27
28 Okay. Seeing and hearing none. Leigh,
29 can you walk us through the vote? Oh, let me restate the
30 motion. So, the motion was to support the proposal with
31 the OSM modification.

32
33 MS. HONIG: Thank you, Madam Chair. Leigh
34 Honig, for the record. Jeff Wasley, how do you vote?

35
36 MR. WASLEY: Yes.

37
38 MS. HONIG: Pat Holmes.

39
40 MR. HOLMES: Yes.

41
42 MS. HONIG: Coral Chernoff.

43
44 MS. CHERNOFF: No.

45
46 MS. HONIG: Rebecca Skinner.

47
48 CHAIRPERSON SKINNER: Yes.

49
50 MS. HONIG: Daniel Smith.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

MR. SMITH: Yes.

MS. HONIG: Natasha Hayden.

MS. HAYDEN: Yes.

MS. HONIG: And Brett Richardson.

MR. RICHARDSON: Yes.

MS. HONIG: Madam Chair, the vote carries with 6 yays to 1 nay.

CHAIRPERSON SKINNER: Thank you. Okay. So, we're going to take -- let's take a ten minute break until quarter 'til so, we'll come back at 10:45. Thank you.

(Off record)

(On record)

CHAIRPERSON SKINNER: Okay. We will go ahead and resume our meeting. We are up to statewide proposals. And we're at WP26-01, move authority delegated through letters into unit specific regulations. And I think this might be Kendra Holman.

MS. HOLMAN: All right, Madam Chair, members of the Council, this is Kendra Holman for the record. This will be the presentation for the summary of the analysis for WP26-01. So, the -- what we have called the master analysis, which is kind of the big overview, it starts on page 155 of your meeting book. So, this proposal is from the Office of Subsistence Management, seeks to move the authority for managing federal hunts out of delegation of authority letters, also known as DALs into unit specific regulations. If adopted, 61 delegation of authority letters currently in use across Alaska would be rescinded. These letters were originally meant to provide flex -- management flexibility, but over time they've created inefficiencies. Any action taken under a delegation of authority letter counts as a special action which triggers requirements for public hearings, tribal consultations, regulatory advisory council recommendations. These processes are important for unusual or emergency situations. But they add unnecessary burden when applied to routine in-season

1 management actions, like closing a hunt when a quota is
2 met. As a result, federal in-season managers and OSM
3 staff spend significant time on protocol requirements
4 for decisions that are already expected every year. High
5 staff turnover makes consistency difficult. On top of
6 that, OSM must maintain all 61 delegation of authority
7 letters, some of which overlap, conflict or contain
8 outdated guidance. By moving these authorities into
9 regulation, in-season management actions would no longer
10 trigger that special action process. Appropriately, four
11 pages of boilerplate delegation of authority letter
12 requirements would be replaced with one clear paragraph
13 in regulations. Public transparency improves, since
14 changes to delegated authority would go through the
15 standard regulatory process. And oversight becomes
16 simpler, with clearer responsibilities and reduced
17 administrative workload. Importantly, the Board retains
18 authority over emergency closures and broader decisions,
19 but in-season managers still have the ability to act
20 quick and within the parameters set by the Board. This
21 proposal is not expected to affect wildlife populations
22 or subsistence opportunity. It's primarily
23 administrative, streamlining how reoccurring decisions
24 are made. It increases efficiency, strengthens
25 coordination with state and local users, and makes the
26 process more transparent to the public.

27
28 One alternative considered was
29 replacing the phrase coordinating -- coordination with
30 in regulation to seeking input and considering feedback
31 from. This clarifies the expectation for in-season
32 managers to communicate their actions and consider
33 feedback without adding confusion that has developed
34 around the word coordinate. The OSM preliminary
35 conclusion is to adopt WP26-01 with modification to
36 replace the word coordination, with the words seek input
37 and consider feedback from. And to modify WP26- -- 26-
38 01A and 26-01B, which are region specific ones and not
39 -- do not apply to this region, with some region specific
40 language, adopting these changes would reduce
41 administrative burden, resolving inconsistencies, and
42 improve efficiencies while maintaining transparency and
43 accountability in federal subsistence management. So,
44 WP26-01C is the part of the analysis that is specifically
45 regarding the Kodiak Aleutians region. That starts on
46 page 166 of your meeting book. In there, you can see
47 there are three delegation of authority letters,
48 currently. And you can see the proposed regulation. Of
49 course, it -- the proposed regulation does not include
50 that modification. So, it still says coordination. But

1 there are two for Izembek for caribou and there is one
2 for moose. So, for -- regarding 26-01C, OSM's
3 preliminary conclusion is to support, of course, with
4 that modification to change the word coordination as I
5 stated just a minute ago. So, if you have any questions,
6 also, if you wanted to see a delegation of authority
7 letter, there is one in your meeting book, and it can
8 be found on page 109? Yeah, 109 of your meeting book.
9 So, we'll take -- we'll get rid of those letters. And
10 it'll go to just the dark bolded language that you see
11 at the bottom in the regulations on pages 166 and 167.
12 So, thank you, Madam Chair, members of the Council. If
13 you have any questions, let me know.

14
15 CHAIRPERSON SKINNER: Okay. Are there
16 clarifying questions about the presentation or the
17 analysis? Daniel, go ahead. Or maybe hold on until we
18 have the attention of the -- are you ready, you want you
19 want a second or are you ready for a question? Okay. Go
20 ahead, Daniel.

21
22 MR. SMITH: Yeah. Thank you, Madam Chair.
23 This is Daniel Smith. Had a clarifying question about
24 the three, are these the -- in the -- so, WP26-01C the
25 Kodak Aleutians one, are there only those three
26 regulations that would be affected in our region by the
27 master analysis or the proposal?

28
29 MS. HOLMAN: Through the Chair, member
30 Smith. Yes, that is correct. It is only those three that
31 would be affected for this region.

32
33 CHAIRPERSON SKINNER: Coral, go ahead.

34
35 MS. CHERNOFF: I guess to piggyback on
36 that, does this have effect for fishing?

37
38 MS. HOLMAN: Through the Chair, member
39 Chernoff. No, this is only -- we are only going -- only
40 proposing this for the wildlife letters.

41
42 CHAIRPERSON SKINNER: Right. Are there
43 any further clarifying questions? Coral.

44
45 MR. HOLMES: Madam Chair.

46
47 CHAIRPERSON SKINNER: Okay. We'll go with
48 Pat and then go to Coral. Go ahead, Pat.

49
50

1 MR. HOLMES: Yes. Kendra I was wondering
2 if this would cause any changes quite often in our region
3 or we've had some questions solved by having what is
4 called a study group in which the Fish and Wildlife
5 Service staff at whichever refuge the Fish and Game
6 folks, and then members of the Fish and Game Advisory
7 Committee and then Council members that aren't
8 necessarily speaking for the Council, but will get
9 together and discuss problems. And I -- let's say the
10 increase in the goat harvest and providing for
11 subsistence goat harvest. The study groups get together
12 and try to find the quickest way to solve things and
13 then let the respective parties go back to their own
14 group for further discussion. And so often, we can save
15 a year or two on developing a solution. And I just -- I
16 would assume that this change would just not interfere
17 with that but it would make it more flexible and easier
18 to accomplish without having to go through a whole lot
19 of hoops. Thank you, Madam Chair.

20
21 MS. HOLMAN: Mr. Holmes, through the
22 Chair. This is Kendra Holman, for the record. So, this
23 actually has nothing to do with that process that you're
24 discussing right now. So, this would only affect -- so,
25 currently within the Kodiak Aleutians region there are
26 three delegation of authority letters to Izembek. So,
27 the first one is for caribou and Unit 9D. The second one
28 is for caribou and Unit 10 and the last -- the third one
29 is for moose and Unit 9D. So, this just takes their in-
30 season actions that they make every year for determining
31 harvest limits, number of permits, the seasons already
32 set so they don't determine season, these harvest
33 quotas, sex limits, things like that. That the Board has
34 given them the authority to determine and puts it in the
35 regulations and in the regulatory language instead of
36 in a long letter that's confusing and causes a lot more
37 work. So, by removing that special action trigger that
38 it currently has, where they have to have the public
39 hearings and tribal consultation and all of that that
40 they're supposed to do. And so, hopefully that clarifies
41 it for you.

42
43 MR. HOLMES: Thanks for your
44 clarification. Yes, ma'am. Yes, ma'am.

45
46 CHAIRPERSON SKINNER: So, you may have
47 spoken to this. How does -- how do these changes -- so,
48 putting this into regulation that the -- say the refuge
49 managers., set harvest quotas, harvest limits, etc.,
50 that does not change the process where right now KARAC

1 considers like annual harvest limits. So, for certain
2 areas, if we're being asked to look at increasing caribou
3 from 2 to 4, it doesn't change that part of the process,
4 we would still have a say in that that still ends up in
5 regulation. Really what this is addressing is that in-
6 season management component. Do I understand that
7 correctly? And then if that is the case, how do we know
8 that's the case?

9
10 MS. HOLMAN: So, Madam Chair, yes. So,
11 if you look on page 109, you can see the delegation of
12 authority letter that's currently in place. for the
13 South Alaska Peninsula caribou, so we currently have
14 this letter if you turn to page 110, it says -- it shows
15 what the Board has given the authority to for the refuge.
16 And then it also lists within this this letter actually
17 on the page prior on page 109, who all that they're
18 supposed to be in contact with when they're making this
19 decision. Who they are supposed to be in communication
20 with and seek input from, as well as what they're
21 authorized to do out of this letter, and it puts it into
22 regulation. As far as anything else beyond that, it would
23 all still go through the regulatory process, and it would
24 still come before the RAC, as it normally does. With the
25 delegation of authority letter, currently they -- the
26 refuge is supposed to go through a special action process
27 in order to make any of these decisions that the Board
28 has authorized them to do, but putting it into regulation
29 removes that special action aspect of it. It reduces the
30 workload for them. They still have to be in communication
31 with other managers. So, you look at the proposed
32 regulatory language, they're still supposed to be in
33 communication with ADFG, with OSM and the Chair of the
34 affected Councils. So, you will still know about it. You
35 should still hear about it, but it doesn't trigger all
36 the additional work that's required, because this is an
37 annual thing. It happens every year. It's nothing
38 abnormal. And so, we're just looking to streamline the
39 process.

40
41 CHAIRPERSON SKINNER: Coral, Go ahead.

42
43 MS. CHERNOFF: So, could you expand and
44 clearly explain what all the extra additional work is?
45 That you just mentioned.

46
47 MS. HOLMAN: So, member Chernoff, through
48 the Chair. So, currently if the refuge wants to issue
49 the permits and make the decision of sex restrictions
50 for any of those three, you know, so we'll stick with

1 this South Alaska Peninsula Caribou Herd. If they're
2 making these decisions, they've been given the authority
3 to do it. Currently they are -- it's under a special
4 action which triggers public hearings. It triggers
5 tribal consultations, Regulatory Advisory Council,
6 recommendations as possible, just because of when the
7 meetings happen. But it should still be in consultation
8 and at least letting the RAC Chair know. And so, these
9 processes of adding this additional notification of the
10 hearing, of having the hearing and it happening every
11 year are supposed to be for these special things
12 happening. But, you know, and not something that happens
13 every year. And so, if it's an annual action that takes
14 place all the time, we're trying to remove some of that
15 extra process, but it is still being done as we're
16 putting it into regulatory language. So, like we're
17 still going through that process right now where we've
18 had tribal consultations. We'll have a second
19 consultation this fall. It's going through the public
20 process before it's being put into regulatory language.
21 So, it's just going to happen the one time when we put
22 it in there, unless it gets changed at a later date
23 instead of it being put on the in-season manager to have
24 to happen every year for routine actions.

25
26 CHAIRPERSON SKINNER: Coral.

27
28 MS. CHERNOFF: So, what I'm getting out
29 of that is then it takes away that requirement to meet
30 with the public and tribes. So, it's taken away basically
31 that public -- meaningful consultation with the public.
32 Is that kind of what comes out of that?

33
34 MS. HOLMAN: So, through the Chair. It
35 makes it so, it doesn't have to happen every year. It's
36 -- that's what we're doing right now. We're working
37 through this process. We're getting the input from
38 people, we're getting public comment. It just makes it
39 so, it doesn't have to happen every year for things that
40 take place every year and aren't out of the normal.
41 There is still that requirement for them to be in contact
42 with specific people. But it just removes it from being
43 something that takes place every year for that annual
44 repetitive action that they've been given authority to
45 do.

46
47 CHAIRPERSON SKINNER: Additional
48 clarifying questions?

49
50 (No response)

1
2 Okay. I'm not seeing or hearing any.
3 We'll go on to -- well, I guess I'll ask this here. On
4 the agenda. This is shown as WP26-01. But, in our book
5 we have W26-01C. So, when we're going to make a motion
6 to do something, should it reference 26-01 or 26-01C.
7 If it references -01C, there is no OSM modification for
8 01C the OSM modification is for -01. So, if you could
9 just clarify what's the best way to capture that at the
10 motion stage.

11
12 MS. HOLMAN: So, Madam Chair, Kendra for
13 the record. So, we want to make sure we caption that if
14 you choose to do the OSM modification that you are doing
15 26-01 with modification -- with the OSM modification,
16 to apply to 21-0C as well. So, you can do both -- you
17 can do two motions, or you can do one. You can do one
18 motion with both numbers, to include that OSM
19 modification on both of them. Or you can -- so, you can
20 do it one motion with both numbers, OSM modification to
21 apply or two separate motions one for each number.

22
23 CHAIRPERSON SKINNER: Okay, but we do
24 need one motion -- the motion has to reference both --
25 In a motion, we need to reference 20 -- or 26-01, and
26 we also have to reference 26-01C, whether it's one motion
27 or two motion that's fine, but we do have to reference
28 both. And then we have the option of the OSM modification
29 add on.

30
31 MS. HOLMAN: Yes, Madam Chair.

32
33 CHAIRPERSON SKINNER: Okay. All right I'm
34 still not seeing or hearing additional questions. So,
35 we'll move on to step 2, which is report on Board
36 consultation with tribes and ANCSA Corporations.

37
38 MS. HONIG: Madam Chair, Leigh Honig for
39 the record, we did receive one comment on this from the
40 Director of the Aleutian Islands Association, in support
41 of this proposal. Thank you.

42
43 MS. HOLMAN: Madam Chair, so we received
44 2, during the tribal and ANCSA Consultation, from the
45 AHTNA to support 26-01 during the ANCSA consultation and
46 then during tribal consultation. We received also from
47 Karen Linnell for the Ahtna, and it's eight tribes to
48 support the move of the delegation of authority letters
49 to limit specific regulations giving the BLM delegation
50 of authority to open and close caribou hunts, move --

00045

1 including moose in Units 11 and 12. So, that's more the
2 region that they cover. But those are the two comments
3 we received during consultation.

4

5 CHAIRPERSON SKINNER: Okay. Thank you.
6 Moving on to the next step. Agency comments. This
7 includes Fish and Game, federal agencies and tribal
8 entities. Are there any comments from the Alaska
9 Department of Fish and Game?

10

11 MR. POETTER: Yeah, through the Chair,
12 Aaron Poetter for the record, we don't have any comments
13 at this time. Thank you.

14

15 CHAIRPERSON SKINNER: Are there any
16 comments from federal agencies?

17

18 (No response)

19

20 Are there any comments from tribal
21 entities including Native, tribal village and other.

22

23 (No response)

24

25 Okay. Seeing and hearing none. Next
26 step advisory group comments. This includes other
27 Regional Councils, Fish and Game Advisory Committees,
28 and Subsistence Resource Commissions. Are there any
29 comments from advisory groups?

30

31 MS. HOLMAN: Madam Chair, Kendra Holman,
32 through the record. So, the North Slope Regional
33 Advisory Council has already heard this proposal, they
34 support with the OSM modification. It simplifies the
35 process and they agree with OSM conclusion and
36 justification that it won't affect subsistence uses.

37

38 CHAIRPERSON SKINNER: Okay, next step.
39 Summary of written public comments.

40

41 MS. HOLMAN: Kendra Holman, for the
42 record. There was one written public comment received
43 in support from the Ahtna Intertribal Resources
44 Commission. That written public comment can be found
45 starting on page 170 of your book. And then specific
46 comments addressing WP26-01 can be found starting on
47 page 171.

48

49 CHAIRPERSON SKINNER: Okay, next step,
50 public testimony. Is there anyone in the room or online

1 that wishes to give public testimony?

2

3 (No response)

4

5 Seeing and hearing none. We are up to
6 the Regional Council recommendation. So, here I would
7 be looking for a motion to support and keep in mind you
8 can either do one motion for each proposal, WP 26-01 and
9 WP26-01C. Or you can do, you can do one motion including
10 both or you can do a separate motion for each. And please
11 address whether the motion will include the OSM
12 modification or not. Is there any action from the
13 Council? Go ahead, Jeff.

14

15 MR. HOLMES: Madam Chair.

16

17 CHAIRPERSON SKINNER: We have Jeff right
18 now. And then I'll go to you, Pat.

19

20 MR. WASLEY: I'll make a motion to
21 support both WP26-01 and WP26-01C, both with the OSM
22 modifications. I'm in favor of both. Thank you.

23

24 MR. RICHARDSON: Second.

25

26 CHAIRPERSON SKINNER: Thank you, okay, we
27 have a motion and a second. Jeff, I'm going to see if
28 you have comments to your motion and then I'll go to
29 Pat.

30

31 MR. WASLEY: Thank you. Jeff Wesley. I
32 think it basically, it is going to streamline the
33 process, make it simpler for everyone involved. And I
34 think that's a good thing and more transparent for
35 everybody. Thank you.

36

37 CHAIRPERSON SKINNER: Thank you. Pat.

38

39 MR. HOLMES: I think that it all got
40 covered. You got a second. And I agree with Jeff 100%.
41 Thank you.

42

43 CHAIRPERSON SKINNER: Thank you.
44 Additional comments or discussion. Go ahead, Brett.

45

46 MR. RICHARDSON: Thank you. I would
47 support this. Seems to cut red tape and might speed
48 action from managers. Thank you.

49

50

1 CHAIRPERSON SKINNER: Thank you. Daniel,
2 go ahead.

3
4 MR. SMITH: Yeah. Thank you, Madam Chair.
5 This is Daniel Smith. I'm a little bit hesitant to
6 support as written or the modification due to, seems
7 like to me, an apparent lack of public comment or tribal
8 consultation, even though they are routine regulations.
9 And with that in mind, I think even though, you know,
10 these don't really change, having the opportunity to
11 provide, you know, more input through the feedback,
12 through the delegation of authority letters, I would in
13 fact support at this time. So, I would probably be
14 opposed to this change right now.

15
16 CHAIRPERSON SKINNER: Thank you.
17 Additional comment and discussion? Coral, Go ahead.

18
19 MS. CHERNOFF: I also am opposed to this
20 because to me, with my understanding, there's going to
21 be less public input, tribal consultation. I think
22 that's an issue. I think that goes against what this
23 program is about. I think if there's issues that need
24 to be streamlined in the Office, I think that needs to
25 perhaps happen in the Office. But I think as far as
26 being part of, I think part of having The Federal
27 Subsistence Board and these Advisory Boards. It is
28 important and these were put together because it is
29 important to have public input, tribal input. All these
30 things have been put into place for that reason. Is it
31 a pain to have to consult with people? Probably is [sic].
32 But, for the public and the people who rely on these, I
33 think it's important to keep those things in. So, I am
34 not in support of this.

35
36 CHAIRPERSON SKINNER: Thank you.
37 Additional comment and discussion. Okay, I'll make my
38 comment. I.....

39
40 MR. HOLMES: Madam Chair.

41
42 CHAIRPERSON SKINNER: Go ahead, Pat.

43
44 (Pause)

45
46 Pat, are you still on.

47
48 MR. HOLMES: Madam Chair, I was thinking
49 that from the comments from the OSM staff that the points
50 of consultation have occurred previously and that they

1 already have the guidelines and have already done the
2 interactions with the respective parties. And so, this
3 would just simplify things in-season for where they
4 already have the guidelines to work from. And so, I
5 think that if we vote against it then it will end up
6 making things take a whole lot longer to solve when they
7 should just already have. They've already got the
8 outline, and they already have the opinion on things.
9 And I'm sure that if there's something that requires
10 further contacts, that that's already implicit in the
11 regulations that they would reach out and do that. So,
12 I'm inclined to go with the proposal to accept these
13 with modifications recommended from OSM. Thank you,
14 Madam Chair.

15
16 CHAIRPERSON SKINNER: Thanks. Kendra,
17 can I ask you, this is along the lines of my last
18 question. Can I ask you to walk through kind of a
19 scenario of how this works? Or I can state my
20 understanding of the scenario, and you can comment on
21 that. So, let's say we're dealing with deer harvest or
22 deer -- the deer regulations in Kodiak. The regulations
23 are what they are. So, it's -- I'm going to make up
24 numbers, you know, 4 deer from a certain area, so we
25 already know what the overall limit is. Changes to those
26 would still go through this -- the regulatory change
27 process in that the RAC would get to see it, there's
28 public comment, if you're changing what's in the
29 regulation. What this proposal focuses on is that in-
30 season component, so if something happens in the summer,
31 let's say there's a huge wildfire and it burns all of
32 Kodiak and the managers are like, oh my goodness, we
33 need to have no more harvest of deer because something
34 has happened and an immediate decision needs to be made
35 to stop harvest because there's a concern. In that case,
36 the in-season manager, which is the refuge manager,
37 would get to make that call, which in past RAC
38 discussions we have supported that the in-season manager
39 having the ability to make those calls. What this
40 proposal does is it relieves the requirement, I'm going
41 to call it the bureaucratic requirement, of the
42 publishing notice. Your -- you have a 60-day limit. So,
43 whatever you do, if it's over 60 days, you're going to
44 have to do it again. And that these things are -- they're
45 basically annual/seasonal. So, the proposal that's on
46 the table it's just allowing the in-season manager to
47 make decisions on essentially a temporary basis, right
48 because it's on an annual/seasonal? But go ahead because
49 I see facial expressions.

1 MS. HOLMAN: So, Madam Chair, this is
2 Kendra. So, I'm going to try to not be too literal here
3 with this answer. So, the regular regulatory stuff --
4 the dear example, as far as those regulations, has to
5 go through the regulatory process exactly the same way
6 it is now. Delegation of authority that has been given
7 to an in-season manager is only going to apply to the
8 things that are in the regulatory language. So, if that
9 is set harvest quotas, set harvest limits and sex
10 restrictions. That is all the in-season manager can do
11 without going through the regulatory process. So, if
12 there is, like the fire example that you're discussing
13 would be an emergency or a special action that would
14 still go through the OSM process. So, it would still
15 have to go through a special action process where we go
16 through the whole public process. The only things that
17 this -- that this allows is, the in-season manager to
18 do, will be written in regulations. So, for caribou in
19 Unit 9D it'll be to set harvest quotas, harvest limits
20 and set sex restrictions. For Unit 10, it is to set
21 harvest quotas, close the season, open and close federal
22 public lands to non-federally qualified users annually,
23 based on the current population status. For Unit 9D
24 moose, this is to set -- to -- the harvest of moose, to
25 announce -- closing -- announce the close -- closure,
26 sorry. Public lands will be closed by announcement to
27 the harvest of moose when a total of 10 bulls have been
28 harvested under state and federal hunts. So, those
29 specific items are the only things that would not go
30 through the public process.

31
32 CHAIRPERSON SKINNER: So, that does
33 include establishing how many animals can be taken in
34 in a year or a season.

35
36 MS. HOLMAN: If it is written in the
37 regulatory language that they are delegated, yes.

38
39 CHAIRPERSON SKINNER: And currently
40 generally, I'm trying to remember where the RAC isn't
41 usually seeing those special actions anyway, unless the
42 timing lines up.

43
44 MS. HOLMAN: Yeah, Madam Chair, that's
45 correct. If the timing lines up for the RAC to be able
46 to see them, then yes, we present them to the RACs. If
47 the timing does not line up, which unfortunately happens
48 quite often, the RACs don't get to see them in the
49 presentation.

50

1 CHAIRPERSON SKINNER: Okay. And then the
2 analysis noted that there is, I think, that there's
3 little actual public involvement in the public process.
4 Can you confirm that that's my under -- that my
5 understanding is correct on that.

6
7 MS. HOLMAN: Madam Chair, yes. There
8 tends to be very little public involvement in this --
9 these processes, especially these annual ones.

10
11 CHAIRPERSON SKINNER: Yes. Go ahead,
12 Jeff.

13
14 MR. WASLEY: Thank you. Jeff Wesley.
15 Allison or Maria, could you tell me if anyone of those
16 3 have been triggered in the last 10 or 20 years, of the
17 9D caribou, 10 caribou or the moose? Like, have any of
18 these limits been reached where you had to do an
19 emergency closure? Thank you.

20
21 MS. FOSADO: Good morning, Madam Chair,
22 members of the Council. For the record, my name is Maria
23 Fosado, Izembek Refuge Manager. Can you repeat your
24 question, Jeff? Or Council member Wasley?

25
26 MR. WASLEY: Thank you. Jeff Wasley, I'm
27 just curious if any of these limits on the 9D or 10
28 caribou or Unit 9D moose have been reached and you've
29 had to do an emergency closure in the past 10 or 20
30 years. Thank you.

31
32 MS. FOSADO: Thank you for your question.
33 Through the Chair. I can't speak to the last 20 years.
34 But I can certainly provide that information, shortly
35 here, let me look at our records. I've been here since
36 2020, and we have not done any special actions to close
37 the seasons. We've generally mimicked the state
38 regulations. So, we've -- the staff has been doing well.
39 We've mirrored the state on those regulations. There has
40 been a change to Unimak. So, Unit 10 and I do believe
41 that that was discussed at one of the Regional Advisory
42 Council meetings.

43
44 MR. WASLEY: Yeah. And I've just I don't
45 know of many people harvesting moose, and I don't really
46 remember ever hearing that being closed. And it sounds
47 like the Sapsuk doing well. And it's actually, the State
48 would like more harvest. In the Unimak, has there been
49 any subsistence take? Thanks.

50

1 MS. FOSADO: Through the Chair. We have
2 issued federal subsistence permits every year that I've
3 been here, 2020 to current year, for both Unit 9D and
4 10 and generally speaking, we see more subsistence
5 harvest in 9D than 10. But I don't have all the numbers
6 off the top of my head, but that's less than a handful.
7 I mean, a couple caribou through our federal subsistence
8 permits are taken, in 9D specifically.

9
10 MR. WASLEY: Thank you.

11
12 CHAIRPERSON SKINNER: I do have a
13 question for I think it's for the side of the table with
14 Jeff, mostly, Jeff. Brett, you're welcome to jump in.
15 The three delegation of authority letters right now, two
16 are for Izembek, is -- and one is for 9D. So, I consider
17 that to be kind of the -- that subregion of the KARAC.
18 So, not the Kodiak part. I think I'm recalling correctly,
19 you made the motion on this, right? Okay. You made the
20 motion. You clearly support those. On an annual basis
21 with under the delegation of authority with the -- when
22 the notice of these are published and the public
23 involvement, what is your -- what have you seen with --
24 does the like does the public engage a lot and or have
25 you heard any concerns from people kind of in this area
26 about going to this -- changing it as proposed versus
27 doing the delegation of authority process because, you
28 know, that does allow more public involvement. So, like
29 does the public want to be more involved? Have they been
30 involved or do they -- is your sense that they support
31 going this direction?

32
33 MR. WASLEY: Thank you, Madam Chair. Jeff
34 Wasley. I would say there's very little public input.
35 In general, caribou do not come down to be like readily
36 accessible areas like they used to. You know, 20 years
37 ago, it was very common to have caribou all around the
38 Road System here. Now, I mean, I can go a whole season
39 and not see caribou. So, I think there's way less
40 interest because you need some specialized equipment to
41 access these animals and get out quite a ways. And
42 there's not -- a lot of people don't have that. I mean,
43 mostly to get to the main herd, you need airplanes,
44 right. So, there's a few scattered little groups. So, I
45 don't think there's a ton of interest in caribou like
46 there used to be. But just because they're not really
47 coming down as much. And as far as the public's interest
48 in going this direction on these proposals, I've heard
49 nothing from, basically nothing from anybody in town
50 here on anything to do with the with the RAC, you know,

1 much less the specific caribou issue. So, thank you.

2

3 MS. FOSADO: Thanks.

4

5 CHAIRPERSON SKINNER: Coral, go ahead.

6

7 MS. CHERNOFF: Yeah, I guess that -- it
8 sounds like in the last ten years this hasn't happened,
9 which indicates to me that it's not really a problem in
10 the office as far as extra paperwork and you know, just
11 having an extra process. I think it's been brought up,
12 or sort of, you know, how much the public, you know, we
13 get this -- how much the public has been involved. Has
14 anyone stated that this is an issue? I know I get this,
15 and it was hard for me to understand. So, and I'm
16 involved in, you know, reading a lot of this regulatory
17 stuff and have questions. And even after having many
18 questions, it's hard. A lot of people just want to be
19 left alone. They want to hunt, they want to do their
20 thing. They assume it's going to happen. So, to me, I
21 don't consider whether we have public input or not
22 necessarily because people show up, like when we were
23 going to lose our rural status. Then lots of people show
24 up right when something really bad is going to happen.
25 Otherwise, they're expecting us to sort of delve into
26 this and do the thing. And I think having nobody make
27 public comment or not knowing what people think is not
28 a reason to take away the right to have that process,
29 which I've stated before, and I feel that very strongly
30 that we should have the right to this process. It was
31 put in place. So, the public has a process. So, tribal
32 has a process. And I don't think that confusing language
33 and difficulty in the Office doing this work. I don't
34 think that streamlining it on the public side is the way
35 to go. So, yeah, thank you.

36

37 CHAIRPERSON SKINNER: All right. Further
38 comments and discussion.

39

40 MS. HAYDEN: Madam Chair, this Natasha.

41

42 CHAIRPERSON SKINNER: Yep. Go ahead,
43 Natasha.

44

45 MS. HAYDEN: So, Natasha Hayden, for the
46 record. I do have a question about setting the -- setting
47 the harvest goals, which is my understanding what Kendra
48 was explaining and then the sex of the animals that are
49 available for take. Those currently have to be set on
50 an annual basis and do have -- they do have to go through

1 this public process to make those determinations. Or is
2 it only when they're making changes to what's already
3 like, you know what their annual targets are.

4
5 MS. HOLMAN: So, through the Chair. This
6 is Kendra. So, they have to go through that process
7 every year. So, every year when they set their hardest
8 -- harvest quotas, they have to go through a full public
9 process. Every year when they set their harvest limits.
10 Same thing. So, we're only addressing these things that
11 are done annually, and every year, anything outside of
12 what's already in the delegation of authority letter
13 will still have to go through the outside public process.
14 By putting it in the regulatory language at this point,
15 we are covering that public process. At this point in
16 time, that's what we're here for.

17
18 CHAIRPERSON SKINNER: So I', going to
19 ask.....

20
21 (Simultaneous speech)

22
23 MS. HAYDEN: Madam Chair.

24
25 CHAIRPERSON SKINNER: Oh, go ahead,
26 Natasha.

27
28 MS. HAYDEN: Just a follow up. I --
29 unfortunately that didn't clear it up for me at all,
30 Kendra. Would -- does -- do they already have public
31 hearings to set harvest goals every year? And if they
32 do, would that no longer occur if this were passed?

33
34 MS. HOLMAN: That is correct. Currently
35 they have to do it. If this is to go through, they will
36 not have to do that public process every year.

37
38 MS. HAYDEN: Okay. Thank you.

39
40 CHAIRPERSON SKINNER: And then to follow
41 up on that I think this might answer my question. So,
42 for 9D caribou, in the regulations, the harvest limit
43 says 1 to 4 caribou by federal registration permit. So,
44 it's 1 to 4. Am I understanding correctly that and that
45 limit was like set by us or the RAC did get to have a
46 say in that. What we're talking about is that range of
47 1 to 4. That's what the -- we're kind of delegating to
48 the in-season manager. So, we're setting that kind of
49 lower bound and upper bound of 1 to 4. And we're letting
50 the in -- the refuge manager pick what seems to be an

1 appropriate number between 1 and 4, and that's where
2 we're giving up the public hearing. But what is set and
3 what's always going to get a public hearing is whether
4 that 1 to 4 range is correct, or if it should be 2 to
5 5. That's always going to come back through the
6 regulatory process to the RAC. Is that correct?

7
8 MS. HOLMAN: Madam Chair so, that's
9 correct. The 1 to 4 caribou by federal registration
10 permit was adopted by the Board. And it went through the
11 public process, through the RACs to get to the Board for
12 them to make that decision. If that number is to change,
13 then it would have to go back through -- at this -- and
14 that leaves the flexibility for the in-season manager.
15 So, yeah. Anything outside that 1 to 4 or changes to
16 that in any way, shape or form would have to go back
17 through the public process.

18
19 CHAIRPERSON SKINNER: Coral, go ahead.

20
21 MS. CHERNOFF: Yeah, I guess I just want
22 to comment because bringing up 1 to 4 that has been set
23 can seem like, you know, it's a low number 1 to 4, right.
24 Seems like no big deal. But I've sat in on these meetings
25 where we've talked about raising the deer season limit
26 one or reducing, you know, through Fish and Game the
27 season by one, and it's a big deal. And I feel very
28 strongly that -- and I like, so I'm -- as I'm hearing
29 this, I can picture many years of Della having
30 differences of opinion from refuge managers or Fish and
31 Game, you know, what they're seeing, how they're doing
32 it. So Della, and all those years of listening to Della
33 and Rick Koso, I think are in my head going, you know,
34 1 to 4 is a big deal. And so, not having consultation
35 in those numbers to me is still a big deal. And I feel
36 like it should go through the public process.

37
38 CHAIRPERSON SKINNER: Pat, go ahead.

39
40 MR. HOLMES: I Madam Chair, I'd have to
41 disagree with Coral. I know that -- for many years I've
42 known Della probably 30, 40 years, longer than I've been
43 on this Council they -- when something is amuck or they
44 think that populations are shifting or the refuge
45 surveys or the Fish and Game surveys have shown the
46 change or they're not getting -- people quit requesting
47 permits through the corporation which is where it's
48 handled out on the peninsula, if the flag is raised,
49 then the different agencies will bring it up to our RAC,
50 or they'll bring it up to the local advisory committee.

1 They chat with the local tribal folks and say, gee, do
2 we need to address this? I don't see that the proposal
3 will change that because it's established. And any
4 rational manager, whether it's federal or state, will
5 interact with the public. And so, I do not think that
6 this is going to exclude the public in any way. It's
7 really not going to change anything. What it means anyway
8 -- that's my perspective. And you might want to even
9 have the Coordinator call up Della and get her input.
10 Thank you.

11
12 CHAIRPERSON SKINNER: Jeff, go ahead.

13
14 MR. WASLEY: Thank you. Jeff Wasley.
15 Yeah, I -- all of these hunts, in my knowledge, are
16 vastly underutilized. I don't know how many caribou have
17 been registered for subsistence on Unimak, but it's 1
18 or 2 in the last ten, 20 years. I don't know. It's --
19 and then we just heard on the 9D that the state and feds
20 want more harvest. So, I think I trust Maria and the
21 staff at Izembek to manage this resource and with their
22 cuts, they have three people. They have a lot more on
23 their plate than just this. Any way to help them
24 streamline and make their jobs easier to manage the
25 refuge as a whole. I'm all for helping them, not having
26 unnecessary burden. So, thank you.

27
28 CHAIRPERSON SKINNER: Thanks. Further --
29 any further comments and discussion?

30
31 (No response)

32
33 So, I do plan to support this proposal.
34 I very much support having the language and regulation
35 versus being in a delegation of authority letter. I think
36 that's easier for people to find. You just have to go
37 to one place and you can find it. The other thing is,
38 it's going to be in regulation so we can propose to
39 change it. So, if it turns out that the appropriate --
40 if this passed and it went into effect, that it was
41 apparent that there needed to be a more -- that -- I was
42 going to say a more robust public process. If it was a
43 problem and we had concerns with the refuge manager
44 making these decisions, we can propose to change the
45 regulation. But one thing that I really do like about
46 this proposal is it's take -- it's putting everything
47 in one place. So, instead of having to, you know, figure
48 out or go find a delegation of authority letter, you can
49 just go to the regulations and everything is right there.
50 To me it is -- I'll use the word compelling, that with

1 these ongoing processes that I understand are done every
2 year so, for these hunts and Izembek, the limits are set
3 every year. And there is this required process currently
4 for public notice. And all of the consultations that
5 there hasn't involvement. So, I do find that piece of
6 information compelling. But I think mostly I like the
7 way this will -- I think it will lend more clarity
8 because everything will be in regulation. And like I
9 said, if this is a problem, if it does turn out that
10 this is problematic, it can be changed. And I think that
11 those are all of my comments on this. All right. I think
12 we're ready to proceed to a vote. Leigh, if you could
13 take us through a vote.

14
15 MS. HONIG: Yes, Madam Chair.

16
17 CHAIRPERSON SKINNER: Sorry, should I
18 restate the motion?

19
20 MS. HONIG: Yes, please.

21
22 CHAIRPERSON SKINNER: Okay. The motion is
23 to support WP26-01 and WP26-01C, with the OSM
24 modifications that are shown in relation to WP26-01.

25
26 MS. HONIG: Thank you, Madam Chair. Leigh
27 Honig, for the record. We'll start off again with Jeff
28 Wasley. How do you vote?

29
30 MR. WASLEY: Yes.

31
32 MS. HONIG: Pat Holmes.

33
34 (No response)

35
36 Pat, are you still online? Okay, I'll
37 circle back around. Coral Chernoff, how do you vote?

38
39 MS. CHERNOFF: No.

40
41 MS. HONIG: Rebecca Skinner.

42
43 CHAIRPERSON SKINNER: Yes.

44
45 MS. HONIG: Daniel Smith.

46
47 MR. SMITH: No.

48
49 MS. HONIG: Natasha Hayden.

50

00057

1 MS. HAYDEN: Yes.

2
3 MS. HONIG: Brett Richardson.

4
5 MR. RICHARDSON: Yes.

6
7 MS. HONIG: And Pat, are you online and
8 what is your vote?

9
10 (Pause)

11
12 Pat, I can see you're online. Can you
13 unmute your phone or from your computer?

14
15 (No response)

16
17 Okay. Well, we still have a quorum
18 without Pat's vote. And so, the motion carries, as
19 amended, with 4 yays to 2 nays.

20
21 CHAIRPERSON SKINNER: Okay. So, it is
22 quarter to noon. I think what I'd like to do, Leigh, is
23 if you can give us the -- we'll move on to the next
24 agenda item, which is the summary of the Federal
25 Subsistence Board replies. We'll do that before lunch
26 and then we'll break for lunch.

27
28 MS. HONIG: Thank you, Madam Chair. Leigh
29 Honig, for the record. So, the Board's reply to the
30 Council's annual report can be found in your
31 supplemental -- the thinner meeting book, on page 17.
32 And a brief summary of the topics that the Council
33 brought before the Board and the responses are, topic 1
34 was the need for online access to federal subsistence
35 harvest permits. And the Board responded that in 2024,
36 OSM has initiated the modernization of the permitting
37 application system that will help make permits more
38 readily available. The new permit allocation application
39 system should be operational soon. Topic 2, the Council
40 shared its concern over the loss of the Fisheries
41 Resource Research Monitoring funding in 2024 and 2025
42 for the McLees River Weir, and as a result, essential
43 data was not collected. There was a need for improved
44 communication about FRMP funding availability and
45 greater RAC involvement in the FRMP application review
46 and evaluation process. The Board responded that they
47 recognize how vital the project area is and the Board
48 explained that in 2022, all projects were fully funded
49 due to cost savings from the virtual -- from the Council
50 meetings that were held virtually during Covid.

1 Operational expenses since then have increased with a
2 stagnant budget, making it difficult to cover both
3 ongoing and new project needs. In addition, the
4 modernization of the permitting database also impacted
5 OSM's budget. The Board wanted to emphasize that they
6 are deeply committed to ensuring that high priority
7 research and monitoring efforts continue to be supported
8 in the future cycles. And the Board values the input of
9 the Council during the development of the priority
10 information needs and the formal recommendation on
11 proposed projects. However, current legal framework
12 limit direct Council participation in the Technical
13 Review Committee.

14
15 Topic three. The Council requested
16 dedicated funding for weirs on a 5 to 10 year basis. The
17 Board agreed that the continuity and data collection is
18 essential, but due to current statutory authority, they
19 are unable to set up new funding streams. The Board did
20 encourage the Council to collaborate with federal, state
21 and academic partners to explore alternative funding.
22 Topic number four. The Council expressed concerns over
23 a lack of enforcement in the region. The Board provided
24 an update on Fish and Wildlife Service current
25 enforcement operations in the region, which are
26 currently in the Izembek National Wildlife Refuge, they
27 do not have an LEO on-site. However, LEO support has
28 been assigned in King Salmon to assist. The Kodiak
29 National Wildlife Refuge no longer has an LEO station
30 in Kodiak, they are stationed out of the Kenai National
31 Wildlife Refuge. And lastly, the Alaska maritime
32 National Wildlife Refuge does not have an LEO in all
33 responses will be out of officers from the Kenai National
34 Wildlife Refuge Office. Topic five noted the challenges
35 in ensuring subsistence access to resources arising from
36 fragmented management approaches. The Council gave an
37 example of the fragmented jurisdiction over salmon
38 management between the FSB, State authorities and NOAA.
39 The Board responded that each agency has different
40 mandates that generally can only be changed by
41 legislative bodies and the Board does not have the
42 authority to lobby Congress to change mandates. However,
43 they are committed to providing a subsistence priority
44 outlined in an ANILCA title VIII. Additionally, under
45 the Executive Order 14153: Unleashing Alaska's
46 Extraordinary Resource Potential, the Board directed OSM
47 to work towards consistency and alignment between state
48 and federal hunting and fishing regulations. The Board
49 is also planning to meet with the new administration to
50 discuss critical subsistence issues, including inter-

1 jurisdictional salmon management. The Board has also
2 requested that OSM find opportunities to promote cross-
3 regional dialogue and understanding about salmon
4 fisheries and their management within -- with the
5 Northern Councils. Lastly, topic six was the importance
6 of funding for statewide salmon research. The Board
7 responded that many other Councils have raised this
8 topic as well. The FRMP is organized into six regions,
9 with an additional multi-region category for projects
10 that cross regional boundaries. The Board commended the
11 Council's efforts in shaping priority information needs
12 and encourage continued engagement. Thank you, Madam
13 Chair. That is all I have for this agenda item.

14
15 CHAIRPERSON SKINNER: All right. Thanks.
16 I guess are there questions for Leigh? Put her in the
17 awkward position of answering what the Board meant by
18 what? But we're on this agenda item. If there's any
19 comments or questions on this particular item, we'll go
20 ahead and take those now.

21
22 (No response)

23
24 Okay. Seeing and hearing none. Let's go
25 ahead and break for lunch until 1 p.m. and I'm just
26 going to continue in order through the agenda. I think
27 we made pretty good time this morning. I think we're
28 back on track. I was a little worried yesterday, but I
29 think we're doing good. So, after lunch we will start
30 with, identifying issues for the FY 2025 Annual Report.
31 Oh, sorry. We will actually start with -- still under
32 the you know what? Let's just do this now. Let's not
33 break. What's that? Okay, I'm going to finish what I'm
34 saying there. So, under the annual report replies, there
35 is a number 1, which is working group with Northern
36 Councils on salmon issues. And so, you heard and you can
37 see in the replies that the Federal Subsistence Board
38 is encouraging dialogue between the different regions
39 on the salmon issues. And at the work session over the
40 summer, the Federal Subsistence Board recommended that
41 specific RACS and Leigh's going to have to remind me
42 which they are. I keep calling them the Northern RACs
43 and KARAC have some discussion altogether. My
44 understanding was they didn't mean the entire RACs so,
45 it's not 50 or 60 people. It would be a subset of people
46 from each RAC. I'm assuming these would not be in-person
47 meetings, but I'm not sure that there wasn't a lot of
48 detail. So, I think the direction or intent is, that
49 this is -- I'm raising it at this meeting so, that people
50 are aware and between now and the winter meeting cycle,

1 OSM and the different RACs because other northern RACs
2 haven't met yet, will have time to think about what does
3 this mean? How many people from each RAC? What's the
4 timeline? And then what are the specific goals or
5 objectives we want to achieve? So, nothing's actually
6 going to happen until the Winter meetings. But I did
7 want to note this because this is kind of a new thing.
8 We haven't been encouraged by the Federal Subsistence
9 Board to have such a collaborative meeting with these
10 other RACs in the past. So, I did want to make sure to
11 highlight that. And Leigh, is there anything else on
12 this item that I didn't cover?

13
14 MS. HONIG: No, Madam Chair, I think you
15 covered everything. And I'll just reiterate that at this
16 time, you know, it can be a brainstorming session on
17 what the Council would like to have happen. And if you
18 feel in-person meetings are more appropriate, definitely
19 state that on the record. And then, like you said at the
20 winter meeting, there will be a more formalized approach
21 for this. Thank you, Madam Chair.

22
23 CHAIRPERSON SKINNER: Okay. And Pat, I'll
24 go to you.

25
26 MR. HOLMES: When we come back, I'd like
27 to just make a mention on the law enforcement issue on
28 how one of the State Fish and Game folks coordinated
29 things at Unalaska and Cold Bay after the question was
30 raised. So, I'll highlight that then, if you'd like,
31 because it was a case where our RAC and reaching out and
32 found some coordination to help a bit. Thank you.

33
34 CHAIRPERSON SKINNER: Okay. Thank you.
35 Alright, we will break until 1:00 pm. Thank you.

36
37 (Off record)

38
39 (On record)

40
41 CHAIRPERSON SKINNER: We're gonna go
42 ahead and get started again. We're going to do a quick
43 roll call just to make sure we have on record who --
44 what Council members we have here. And I will hand that
45 over to Leigh.

46
47 MS. HONIG: Thank you, Madam Chair. Leigh
48 Honig, for the record, we have Jeff Wasley.

49
50 MR. WASLEY: Here.

00061

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

MS. HONIG: Pat Holmes.

MR. HOLMES: Here.

MS. HONIG: Coral Chernoff.

MS. CHERNOFF: Here.

MS. HONIG: Rebecca Skinner.

CHAAIRPERSON SKINNER: Here.

MS. HONIG: Daniel Smith.

CHAIRPERSON SKINNER: Here.

MS. HONIG: Natasha Hayden.

MS. HAYDEN: Here.

MS. HONIG: And Brett Richardson.

MR. RICHARDSON: Here.

MS. HONIG: We have seven out of nine seated Council members and have a quorum.

CHAIRPERSON SKINNER: Thank you. Okay, so, I wanted to go back briefly to the working group with salmon and just do a couple minutes on that. Then we'll go on to the annual report topics. Then I plan to go into the Federal Subsistence Program review, and we'll continue on the agenda from there. But I do want to do a time certain for Jackie Keating at 2 pm. Trying to be respectful of, as I said, the RAC members in the room, we can stay here as late as we need to but for other people, I'm trying to be respectful of their schedules, so we might do Jackie Keating and then Izembek if Izembek is actually planning to present. Okay. All right. So, just backtracking a little bit to the working group with Northern Councils on salmon issues. Leigh had asked if we -- the Council, could have a little bit of discussion to get ideas for what that process could look like. I will read again in our reply from the Federal Subsistence Board -- sorry, I scrolled to a different place on here. So, the reply from the Board says the Board will request OSM find an opportunity to promote cross-regional dialogue and understanding about salmon fisheries and their management between representatives

1 of your Council and the other Councils who rely on salmon
2 that migrate between the Alaska Peninsula region and
3 western Alaska river systems, in particular the Yukon.
4 So, I read this to mean that OSM is really coordinating
5 this. So, my thought is we can give some feedback to
6 OSM. I -- I'll throw out some ideas. I guess I'm not
7 looking at this as necessarily a Council motion, but if
8 people have thoughts, I think they can be captured and
9 OSM can figure out how best to utilize those. So, my
10 suggestion as far as composition is that it be 2 to 3
11 people from each RAC. I think that will give a reasonable
12 total of people on the working group overall, and
13 particularly for our RAC, we do have three subregions,
14 so three people seems to make sense. So, thoughts on
15 that particular issue? Are there any other suggestions
16 about the number of people that each RAC should send to
17 this working group or have participate in the working
18 group?

19
20 (No response)

21
22 Okay. So, there's that. The second thing
23 is overall timeline. If the working group composition
24 isn't finalized until after the winter meetings, my
25 thought is that the final report or recommendations, or
26 whatever it is, would probably be shared at the next
27 winter meeting. Just because if we try to get that done
28 for the fall meeting, I am not confident that we would
29 have time to really finish the process. So, my suggestion
30 is, since this working group won't be formed until after
31 the winter set of meetings, that then it get and like
32 one annual cycle to come up with whatever it is, a report
33 or recommendation, notes from discussions, etc. So, are
34 there other thoughts on that? And OSM if I'm saying
35 things that you think are completely off base, please,
36 please jump in. But that's like understanding how the
37 meetings kind of occur, that was my thought. Okay so,
38 that's -- that can be included in the kind of commentary.
39 As far as goals and objectives, I don't know what to do
40 with this one. On the one hand, I feel like once the
41 working group first gets together, I think it will become
42 more apparent what reasonable goals and objectives are.
43 From my personal perspective, I mainly just want to see
44 the meeting happen. I think that having a meeting that
45 includes KARAC plus these other acts will be a huge step
46 forward. So, I'm going to be honest that if that happens,
47 I would be mostly satisfied. I do not think, I mean,
48 we're not going to, you know, fix the salmon issue. I -
49 - that's -- I do not think that this group is going to
50 be able to do that. But, if there's other things that

00063

1 RAC members think would be good to identify as an outcome
2 of this, you know, discussion or dialogue. I think that
3 could be helpful and then also, you know, I would expect
4 again that OSM would also be having conversations and
5 then hearing from the other RACs through the fall meeting
6 cycle as well. And I apologize, I realize that this is
7 very kind of vague and not very defined, but that's what
8 we have. Okay, so I covered.....

9

10 (Simultaneous speech)

11

12 MR. HOLMES: Madam Chair.

13

14 CHAIRPERSON SKINNER: Yes. Go ahead Pat,
15 and then I'll go to Brett. Go ahead Pat.

16

17 MR. HOLMES: When you put this group
18 together looking for volunteers, I'd strongly suggest
19 that you get someone or at least one or more from the
20 Alaska Peninsula that's familiar with the fisheries and
21 on both the Gulf side and on the north side and Bristol
22 Bay. I think that would be very pertinent for your
23 discussions to have someone that has that experience,
24 the knowledge of -- because the intersection issues have
25 been coming to the table for 30 years or more. And
26 anyway, it would be good to get somebody from there.
27 Thank you.

28

29 CHAIRPERSON SKINNER: Okay. Brett, go
30 ahead.

31

32 MR. RICHARDSON: Thank you. Just kind of
33 reminiscing back to the All-RAC meeting winter 2024. I
34 remember a lot of commentary that was anecdotal in the
35 beginning. Which was valuable in its own way and then
36 we received more scientific based reports on salmon and
37 studies to that effect, and I like that balance. So, I
38 think if this goes forward, I'd like to see some more
39 of that. I would assume we would have the former by
40 having people from all ranks present, or at least some
41 of them. But I would like some science involved in that
42 as well. Thank you.

43

44 CHAIRPERSON SKINNER: Okay. Yeah. And
45 kind of following up on that or adding on to that, I do
46 think it -- I don't expect everyone to have the same
47 perspective or agree on either outcomes or even what the
48 problem is, and I'm okay with that. What I do think
49 would be really helpful is having a common place to
50 start and I think your point about the -- like the

1 scientific studies or having common information that
2 whether I guess you agree it's completely accurate or
3 not, at least that's a starting point where at least
4 we're all talking about the same thing. So, however,
5 that is kind of defined for OSM to think about, I think
6 that would be really helpful to have a common kind of
7 starting place or I guess starting place is the best way
8 to say it, because otherwise I'm afraid that it's going
9 to be really hard to have a good discussion because
10 there's -- because you can go in so many different
11 directions on this. Okay. Are there any other -- go
12 ahead, Pat.

13
14 MR. HOLMES: Miss Chairman, I would
15 strongly agree with that and in recent years, the genetic
16 studies that have been done in Bristol Bay, I think are
17 very pertinent and I think they would shine quite a bit
18 of light on what are perceived as very poignant
19 perceptions. But you need to kind of look and see what
20 is there and what the real indications are and I agree
21 with the OSM staff that, you know, you need to be looking
22 at the high-seas science things because that plus the
23 in-river studies those are going to be very, very
24 pertinent as to what's happening up in the Northwest.
25 Thank you.

26
27 CHAIRPERSON SKINNER: Thank you. Okay.
28 Are there any other comments? I'm not seeing anything.
29 Leigh, from your perspective on what you know of this
30 issue, are there any other things that it would be useful
31 to hear KARAC comments on before we move on from this
32 topic?

33
34 MS. HONIG: Thank you, Madam Chair. Leigh
35 Honig, for the record. No, I think there was some you
36 know, it's just a brainstorming session just to kick it
37 off and so, I think that we received some good feedback.
38 We have an idea of how many members that we might want
39 to have volunteer and some of the topics to kind of
40 narrow down the scope of that. So, thank you for that.

41
42 CHAIRPERSON SKINNER: Okay, let's go
43 ahead and move on to the C, small -- having a heck of a
44 time identifying the little I, double I. Identify issues
45 for FY 2025 annual report to the Federal Subsistence
46 Board, and we have Katya Wessels.

47
48 MS. WESSELS: Thank you, Madam Chair. I'm
49 just going to give a small intro before the Council
50 actually works on developing the topics. And this is not

1 a new thing for the Council to develop the topics for
2 the annual report. So, the Title VIII of ANILCA gives
3 the Council's authority to submit annual report, and it
4 is also written in the 43 CFR part 51. Like if you go
5 to page 181 of your Council meeting book, the main book.
6 There is like an annual report, little information
7 leaflet. We have not changed the CFR to the correct CFR
8 on that leaflet yet, because the regulations just got
9 moved into that new CFR. But there you can see in, under
10 report content, you see the quotation from ANILCA. It
11 identifies the subject matter, what ANILCA was
12 envisioning the Councils put in the annual report. And
13 basically, in simple words, the Council's report should
14 contain subsistence trends and issues from the region
15 to summarize these four bullet points. And the Council's
16 recommendations on regulatory proposals, together with
17 these annual reports, they're meant to prepare the Board
18 ward to make important decisions in an informed way on
19 various regulatory matters. So, in ANILCA, it also, says
20 that these reports are to the Secretary. But the
21 Secretary established the Board and delegated that
22 authority to the Board so your report is actually to the
23 Board, and while you can certainly discuss issues
24 outside of the program's authority, items under purview
25 of the Board are the issues of take of fish and wildlife.
26 Just kind of keep that in mind, on federal public lands
27 and those issues outside of subsistence Fish and
28 wildlife regulations on federal lands may be beyond the
29 Board's authority to take any kind of action. Although
30 Board always strives to provide, as you know, full of
31 an answer to the issues that the Council identified,
32 sometimes it's very challenging. And if you requested
33 an action from the Board, make sure that the issue you
34 identify in the report and the request, what you actually
35 want the Board to do, to be very clear, clearly define
36 it, which will make your communication with the Board
37 more effective. You also want to, like if you have a lot
38 of various concerns, you might want to look at
39 prioritizing them, because sometimes, you know, there's
40 like a lot of issues brought up in the report and Board
41 is having a hard time figuring out, you know, what is
42 the main Council's priority and what they should pay
43 more attention to. And also, it would help if you bring
44 up an issue and you can figure out, is it better to put
45 an annual report? Or maybe it's better to write a letter
46 to the agency? Really, you know, if you have a question,
47 maybe it's a letter to Park Service or Fish and Wildlife
48 or one of the other federal agencies. It doesn't need
49 specifically maybe go into the annual report or maybe
50 doesn't need to know about it.

1
2 So, the other question -- the other
3 request that we have as the program, please try not to
4 duplicate issues in your annual report and in the
5 letters, that is ineffective. And the other thing to
6 remember that topics that you identified today, they
7 will be, you know, drafted by Leigh based on your
8 discussion. So, it's important to have a robust
9 discussion so Leigh has some essence to put under each
10 topic. And when you meet again during the winter 2026,
11 you will have that draft in front of you. It will be
12 included in the meeting materials. So, you'll actually
13 have it a little bit before the meeting. But just
14 remember, you can change anything in that draft in terms
15 of like the language of the way it's worded. But please
16 do not add any new topics because this is topics that
17 came up in Fiscal Year 2025, which ends, you know, just
18 a few days here. The issues that come up next year, they
19 will go on FY-26 Report. If there is some burning issue
20 that comes during the wintertime, write a separate
21 letter to the Board instead of adding this topic to the
22 annual report. So, that concludes my presentation, and
23 you know, are there any questions?

24
25 CHAIRPERSON SKINNER: Daniel, go ahead.

26
27 MR. SMITH: Yeah. Thank you, Madam Chair.
28 This is Daniel Smith. I had a quick question about the
29 content that should be like in the annual report versus
30 a letter addressed. Is there, like, a distinguishing
31 substance that should be part of the annual report as
32 opposed to a letter?

33
34 MS. WESSELS: Well, whatever you think
35 will bring you closer to the achieving what you want to
36 achieve really. There's not like, specific guidelines.
37 I mean, there's guidelines in ANILCA, but they're pretty
38 broad, you know, these four bullet points. So, if you
39 think you will get more action out of the letter, lets
40 maybe better do the letter. But because the annual
41 reports the way they work so, after they finalized during
42 the winter meetings these topics are distributed
43 between, you know, various OSM staff and agencies like
44 Glenn he is on ISC. So, ISC takes some of the topics,
45 then he distributes it to the people who work for the
46 agencies to write some of the replies. We, OSM staff
47 write replies, then they all combined, then it just,
48 it's a huge production, so maybe not as much attention
49 is given to a specific topic because we like I think we
50 had, you know, close to 90 topics this year from various

1 Councils to -- and, you know, like most of them wanted
2 a reply to the topics. And the time is, you know, kind
3 of short between the winter meetings and the time we
4 need to draft the replies in -- the draft needs to be
5 ready by June. So, you just need to be judicial and
6 think, you know, if it would work better one way or the
7 other. I'm here to help you as much as I can, or if I
8 have a question, I can ask my colleagues to help me to
9 answer them. Some issues can be addressed directly at
10 the meeting like that the Council might have.

11
12 CHAIRPERSON SKINNER: Okay. All right.
13 Katya, was that the entirety of your presentation?

14
15 MS. WESSELS: Mm-hmm.

16
17 CHAIRPERSON SKINNER: Okay. All right. We
18 will launch into Council discussion. Are there
19 suggestions for items to include in our 2025 annual
20 report? Jeff, go ahead.

21
22 MR. WASLEY: Jeff Walsey, Cold Bay. I
23 think overall, like our area here, experiencing lower
24 goose populations with the emperors, the brant and the
25 cacklers, I think it's a problem that's not going to go
26 away. It's just low production on the Yukon-Kuskokwim
27 Delta mostly affecting this, but I think for our locals
28 here, it's an issue and it's just -- I think it's going
29 to get worse. So, thank you.

30
31 CHAIRPERSON SKINNER: Okay. Thanks,
32 Jeff. And I -- so, as Katya said, it's helpful for the
33 staff and Board to understand what's an action item and
34 what's informational. I'm interpreting this as
35 informational. So, you're not expecting the Board to fix
36 anything. You're just letting them know it's an issue.
37 Go ahead.

38
39 MR. WASLEY: I think informational, as
40 you know, right now, the fall hunters are bearing the
41 brunt of management actions, as we have no brant hunting
42 this September. Emperor goose hunting is closed. Our
43 cacklers limit was reduced. On the subsistence side of
44 things, they also had a closed emperor season, but their
45 brant season was still wide open and cacklers with no
46 restrictions on limit of take. So, I think it affects
47 us more as more people here are hunting in the fall
48 under sport regulations, whether it's considered sport
49 or subsistence by them, individuals. I think I'd leave
50 it up to them, but the management actions so far have

1 affected us in the fall, where there has been limited
2 impacts on the spring hunters. Thanks. Okay.

3

4 CHAIRPERSON SKINNER: Additional topics.
5 Pat, go ahead.

6

7 MR. HOLMES: Oh. Yes, ma'am. I was
8 thinking we might wanna, while folks are discussing
9 things, take a look at our last letter and see whether
10 or not we consider the response as to what we were hoping
11 for. One item I would like to consider is when we --
12 several things we've gone through, and you look at the
13 population studies and there's years of blanks where
14 they couldn't get caribou surveys or the last gentleman
15 was talking about bird surveys. And, you know, the whole
16 thing revolves around what critters are there and what
17 amounts. And several years back, we did have a commitment
18 from the Deputy Director of Fish and Wildlife Service
19 for Alaska that they would assure that the top priority
20 for the refuges would be at Izembek, that they would
21 have adequate ability to do their surveys in terms of
22 when they had service for their airplanes, available
23 pilots. And that seemed to have fallen through the
24 cracks. I just wonder, as far as the staff for the
25 different refuges, if there are some problem areas where
26 they would need support from our Council so that they
27 can achieve these really crucial bits of investigation
28 and that spins over into our discussions we had earlier
29 on the for FRMPs and particularly for species that are
30 having difficulties like king salmon. I think in our
31 region, the only system that had decent returns of king
32 salmon this year was Chignik and it was great, but the
33 other areas were poor. So, we need (distortion) looking
34 at the answers we got, we need to kind of think about
35 some things that we could add to the list that would be
36 general but would overlap multiple species. Thank you,
37 Madam Chair.

38

39 Oh, and the other item was on the
40 discussions on enforcement, and I was wondering for the
41 refuge folks and other agencies, do they cross train at
42 all, or do they rely on only having one enforcement
43 officer? I know ADF&G has cross training for their field
44 staff and I recall Tyler Lawson did a marvelous job on
45 kind of calming things down at Unalaska and soliciting
46 support from the city police department. He also did
47 quite a bit of work at Cold Bay to try and coordinate
48 things, including remote cameras and getting people to
49 talk to each other. So, that's another question. If you
50 don't have a ranger does anybody on staff have that

1 extra training? And the basic thing I recall from trooper
2 school is the most important tool you got is your camera.
3 Anyway, sorry to ramble, but that's some general
4 thoughts. Madam Chair, thank you.

5
6 CHAIRPERSON SKINNER: Okay so, just to
7 kind of recap, I'm looking at the bulleted items of what
8 the annual report should contain. And I think Jeff's
9 comment around the lower goose -- well, the brant and
10 cackler populations to me relates to probably the -- an
11 evaluation of current and anticipated subsistence needs.
12 So, in my -- what I heard is he's noting there's -- it's
13 low right now. Probably anticipated being low in the
14 future. It would fit there. The comments about the
15 population studies and the law enforcement, I don't
16 think it's a strategy we're recommending. It could be,
17 actually, let's dump it under strategy. So, recommended
18 strategy for the management of fish and wildlife
19 populations within the region to accommodate such
20 subsistence uses and needs. One is we need consistent
21 and adequate population studies and the second is we
22 need consistent and adequate enforcement. And we have
23 previously commented on how the lack of enforcement or
24 the current situation with enforcement is inhibiting
25 subsistence in our region. Okay, further
26 suggestions.....

27
28 MR. HOLMES: Spot on, excellent summary.
29 Thank you.

30
31 CHAIRPERSON SKINNER: Yep. Any further
32 suggestions for topics in the annual report? Go ahead,
33 Brett.

34
35 MR. RICHARDSON: Brett Richardson,
36 Unalaska. So, in the response to last year's report,
37 number two is lack of fisheries research monitoring
38 program funding for weir projects, which directly looks
39 at the McLees Lake Weir, which hasn't been in effect for
40 two years and then number three was dedicated funding
41 for weirs. I've -- I feel like these two topics, these
42 two brought the attention to the Boards -- to the Board.
43 However, I don't know if I -- we received a satisfactory
44 response. I feel maybe they need to be more directed in
45 terms of where will the funding come from and when will
46 we receive a report that funding has been received.
47 Because I still don't know if 2026 will have a weir in
48 McLees. And it appears that the funding has come from
49 ADF&G and the Q Tribe more recently, kind of in a co-
50 partnership. Will that continue? Do we know? I'm not sure

1 who to reach out to for those items.

2

3 CHAIRPERSON SKINNER: Okay. And I think
4 we may be hearing more about that under FRMP, although
5 I may be misstating what one of the proposed projects
6 are. But if we could add the weir. So, I said population
7 studies you do for wildlife. So, that would include your
8 ungulates and whatnot and your birds. And then the weirs
9 would directly apply to population studies for fish,
10 which we don't call population studies. But basically,
11 it's accomplishing the same thing. It's the scientific
12 kind of count or surveyed to see how much of a resource
13 there is. Yeah, and I don't think it's inappropriate to
14 re-include an issue. I mean, I know I think the Board
15 gives the best response they can, but a lot of times the
16 response is not satisfactory. Okay. Are there -- Daniel,
17 go ahead.

18

19 MR. SMITH: Yeah. Thank you, Madam Chair.
20 This is Daniel Smith. I guess one of the concerns that
21 I've had that we could potentially raise in this annual
22 report is looking at a more thorough assessment of the
23 composition of sockeye that are escaping in Buskin,
24 specifically designating jack sockeye from adult salmon
25 like they do in Fraser on the southwest side of the
26 Kodiak Island. And I mentioned this in the Council report
27 yesterday. There seems to be an increase in jack sockeye.
28 And, you know, with jack sockeye, their smaller
29 individuals are mostly male and, you know, they're very
30 small. And this could have, you know, sometimes big
31 implications for returning salmon, you know, even with
32 commercial fisheries and then subsistence. And so, maybe
33 it's an action item that we can say to, I believe Fish
34 and Game has an FRMP with the Buskin Weir if it's -- if
35 this is the proper place to present that to the Board
36 or in a letter to Fish and Game, that they should make
37 that determination with the assessments, rather than
38 just saying there's sockeye and jack and adult would be
39 much more preferred. If that makes sense.

40

41 CHAIRPERSON SKINNER: Yeah. So, I'm
42 always thinking through, oh, how's the Board likely to
43 respond and I think the Board is likely to say that's
44 great. Thank you for sharing that. Please include that
45 in your priority information needs for the FRMP. So,
46 definitely remember to include that when we do the FRMP
47 PINs so that it's in there. I mean, I think we could ask
48 if Fish and Game could change their protocol, but I
49 don't know if they're -- since they're in the middle of,
50 I assume, of a grant program right now, I'm not sure

1 what their flexibility is. So, this could go to the
2 Board, or we could generate a letter to Fish and Game,
3 but it may be more streamlined to go straight to fish
4 and game because the Board can't do anything. But if we
5 can ask Fish and Game, hey, can you make this? I don't
6 know how slight of an adjustment it is, so, that may be
7 a more appropriate place for a letter if you want to do
8 that.

9
10 MR. SMITH: Yeah. If we could generate a
11 letter to Fish and Game, I'd be -- on responding to
12 that. That would be. That would be good.

13
14 CHAIRPERSON SKINNER: Okay. I know we're
15 in annual reports. I feel like I just want to address
16 or deal with the letter issue right now. Is there any
17 objection to the RAC generating a letter with the
18 specific ask that Daniel just outlined?

19
20 (No response)

21
22 Okay. And then, Leigh, are you clear
23 enough on what -- and you can work with Daniel to get
24 more specific information. But are you clear on what it
25 is? Okay.

26
27 MS. WESSELS: Yeah. Madam Chair, you'll
28 need to have a vote if you're going to send a letter, a
29 motion and a vote to send a letter.

30
31 CHAIRPERSON SKINNER: Do you want to do
32 you want to make sure -- Daniel.

33
34 MR. HOLMES: Madam Chair.

35
36 CHAIRPERSON SKINNER: We're going to hear
37 from Daniel and then we'll go to you, Pat.

38
39 MR. SMITH: Yeah. Thank you, Madam Chair.
40 I'd like to make a motion to send a letter from the
41 KARAC voicing this concern and our thoughts about
42 getting a more thorough assessment on the increase in
43 jack sockeye that are coming or apparent increase in
44 sockeye that are coming to the Buskin River.

45
46 CHAIRPERSON SKINNER: Is there a second?

47
48 MS. CHERNOFF: Second

49
50

1 Thank you. And just to clarify, is part
2 of the letter -- are you asking if Fish and Game can
3 adjust their operations to actually start counting or
4 documenting?

5
6 MR. SMITH: Yeah, it would be just a
7 pretty simple adjustment.

8
9 CHAIRPERSON SKINNER: Okay. Yeah. As long
10 as that's in the letter, because I think that's a key.
11 Okay. Is there any discussion on this motion, the motion
12 to generate a letter to Fish and Game about tracking the
13 sockeye jacks and the Kodiak area. Coral, go ahead.

14
15 (Off record conversation)

16
17 CHAIRPERSON SKINNER: Go ahead, Coral.
18 Now I'm thrown off.

19
20 MS. CHERNOFF: Oh. Included in that
21 letter, will there come up to be kind of like, a
22 justification for that ask, like justification of why
23 we're asking for that to happen?

24
25 CHAIRPERSON SKINNER: I would expect that
26 Daniel would be working with Leigh to provide a little
27 more context. Yeah. Pat, I think I skipped over you. Did
28 you want to speak?

29
30 MR. HOLMES: Oh, am I on, again? Sorry.
31 Hard to learn to drive a new machine. Okay. I was
32 wondering if on these studies or biological needs, if
33 we can -- Is it possible, I guess this is a question to
34 the OSM people. Is it possible for us to address some
35 of our thoughts on support of different FRMPs because I
36 understand that Chignik Tribe is hoping to also, as far
37 as Buskin sockeye goes as a multiple step proposal ,but
38 one of the steps of that that is looking at the limnology
39 of the lake and what's going on and what's happening,
40 and it's a small lake, but that's something that's very
41 important and probably might even apply to McLees Lake.
42 I'm sure it would. The way the old biologist out there
43 used to evaluate returns to McLees was getting a ballpark
44 of age of the fish from somebody that was gillnetting,
45 and then when they did the flies for the escapement
46 survey sites, if the lake was all mucky and green, then
47 they'd say, well, it's going to be a good year for years
48 from now or five. But anyway.....

49
50 (Simultaneous speech)

1
2 CHAIRPERSON SKINNER: Hey, Pat. That's
3 actually.....

4
5 MR. HOLMES:.....that's a different
6 focus on our letters.

7
8 CHAIRPERSON SKINNER: Yeah.....

9
10 MR. HOLMES: Sorry.

11
12 CHAIRPERSON SKINNER: We have a motion
13 on the floor. So, I think you're mostly speaking to
14 FRMP, which will be the next agenda item.

15
16 MR. HOLMES: Yes, ma'am.

17
18 CHAIRPERSON SKINNER: Okay. So, as far
19 as the letter are there any other questions or
20 clarifications before we vote? Okay. Is there any
21 objection to the letter?

22
23 (No response)

24
25 Okay. Seeing no objection, the motion
26 passes. KARAC will generate a letter to Fish and Game.

27
28 MR. HOLMES: I guess my point was to
29 explore other agencies as well.

30
31 CHAIRPERSON SKINNER: The -- I'm sorry.
32 The motion was just to send a letter to Fish and Game.
33 So, that's what we just voted on. Okay. Are there other
34 suggestions for topics for the annual report? We've
35 touched on the current lower goose population and
36 anticipation that that will continue in the Izembek-ish
37 area. The importance of consistent and adequate
38 population studies, which I, in my head, interpreted as
39 wildlife related associated with that is the importance
40 of consistent and adequate weirs to keep track of the
41 salmon returns, kind of similar to these wildlife
42 population studies. And then Daniel had a point, but we
43 took care of that with a letter. Oh, and then also, with
44 the population studies the enforcement issue as well.
45 Go ahead, Jeff.

46
47 MR. WASLEY: Thank you, Jeff Wasley, Cold
48 Bay. I think just a note. I don't think it has to be any
49 more than that of just, the Mortenson sockeye return is
50 still not as abundant as it used to be, say eight, ten

1 years ago. It had some more come back this year, but
2 it's still a lot less than it used to be. Thank you.

3

4 CHAIRPERSON SKINNER: Okay. Thank you.
5 And that'll be kind of in the -- I keep moving my screens
6 around the resource issue. Thanks. Okay. Are there more
7 suggested topics for the annual report?

8

9 MR. HOLMES: On Mortenson. That's going
10 to become increasingly important because over at King
11 Cove, with the closing of the processor they used to --
12 folks get a lot of their reds from the commercial
13 fishery, and there's going to be a whole lot less access
14 to it there. And so, people that aren't, will have to
15 be traveling over to Mortenson. So, they'll be probably
16 increasing desires to fish there and so, that's going
17 to gain a lot more critical use. Thank you.

18

19 CHAIRPERSON SKINNER: Thanks, Pat. Yeah.
20 If we can note that as a separate, however, we're doing
21 this topic or paragraph. I do think for our region, the
22 closing of that King Cove processor is a big deal, and
23 I think it continues and is going to continue to have
24 ripple effects, such as those that Pat just identified.
25 The fact that in our region, a lot of people do take
26 their -- they meet their fishery needs a lot of times
27 by taking it out of their commercial catch rather than
28 having a whole separate subsistence fishing activity.
29 So, when we have reduced commercial fishing activity
30 that has the impact of -- that's just less household
31 fish, that's available through the through that channel.
32 Okay. Are there additional suggestions for topics?

33

34 (No response)

35

36 Okay. I think then -- so, Leigh, from
37 your perspective, are we wrapped up on this or do you
38 need anything else?

39

40 MS. WESSELS: Madam Chair, I have a few
41 things that I would like to say.

42

43 CHAIRPERSON SKINNER: Okay. Go ahead.

44

45 MS. WESSELS: So, Katya Wessels, for the
46 record. So, if we go to the top topic that you have, the
47 lower goose populations. Are you thinking that as an
48 information item for the Board? And if it's not an
49 informational item, what do you want the Board to do
50 about it? And the other thing is like, would you consider

1 a letter to the migratory birds on this issue? Do you
2 think that will address it better? Like, I mean, if it's
3 informational item that won't, you know, hurt. The Board
4 will learn about it that that's an issue in the region.
5 But, if you want the Board to do something about it,
6 what do you want the Board to do about it? Or maybe you
7 want to inform the Board but send a letter to the
8 migratory birds and Fish and Wildlife, so like.....
9

10 CHAIRPERSON SKINNER: So, I had already
11 clarified that this was informational at the time we
12 discussed it. And Jeff, if you'd like to propose a letter
13 to the AMBCC, we can consider that. He's -- Jeff is
14 thinking, you can continue thinking and we can come back
15 to it. Okay? All right. Katya, did you have other
16 questions?
17

18 MS. WESSELS: Okay. Yeah. So, the law
19 enforcement issue, I mean, it was in your previous annual
20 report. If you're going to put these again in the report,
21 what do you want the Board to do about it? Because that's
22 the current situation. The Board reached out to the
23 agencies, got the information they reported to you on
24 what's happening right now. You know, currently there's
25 a federal hiring freeze that might not be lifted for a
26 while. It's supposed to be lifted in October, but we
27 don't know. It might be extended. So, it's not like the
28 law enforcement situation is really going to be
29 changing. So, again, is this just informational item or
30 do you want the Board to do something about it? And what
31 do you propose the Board to do?
32

33 CHAIRPERSON SKINNER: Pat, go ahead.
34

35 MR. HOLMES: Madam Chair, I would suggest
36 that we approach this in terms of, they gave us a thing
37 that they only have, like three rangers for the whole
38 western region or something. But if the main problem on
39 the Peninsula is during the waterfowl hunting season,
40 well, then we should have one of the -- those folks be
41 out there to take care of it. I don't think that it
42 would hurt at all to have separate letters to the -- on
43 each of these critter issues, fish and critter issues.
44 A letter to the Alaska State Troopers, even though
45 they're going to send most of their people during July
46 to Bristol Bay there certainly are other times where
47 you're going to have a crush of people at Cold Bay or
48 crush at Unalaska or Chignik or wherever. Even though
49 it's not our -- in our particular area, but that we
50 asked them to consider using their resources at peak

1 times for these different critters and different areas.
2 Thank you, Madam Chair.

3
4 CHAIRPERSON SKINNER: Thank you, Pat. So,
5 from my perspective, this is an important issue. It is
6 appropriate to include it in this year's annual report.
7 I personally am not willing to just let the Board off
8 by making this an informational item. Through ANILCA,
9 we are asked to recommend strategies for the management
10 of fish and wildlife populations, and then do
11 recommendations that kind of narrow down how to actually
12 implement that. I am not sure this rises to the level
13 of an entire strategy, but it certainly is an important
14 component in management, and it is continuing to have
15 an impact on subsistence users. So, to me, do I believe
16 the Board can fix this all by itself? I do not, but it
17 doesn't mean that it's not something that is impacting
18 subsistence management and impacting subsistence users.
19 Go ahead, Jeff.

20
21 MR. RICHARDSON: Thank you. Jeff Wasley.
22 So, the crush of people in Cold Bay, I'm not aware of
23 like -- there are some people out here and as far as
24 impacting subsistence, there are no subsistence seasons
25 open now, it's all be sport. So, I'm curious on just
26 what you said, like impacting subsistence. Thank you.

27
28 CHAIRPERSON SKINNER: Yeah. And I'm
29 actually thinking specifically of fisheries, because the
30 last annual report, it came up in relation where --
31 there was a lot of discussion in relation to fisheries
32 in the Unalaska area. And I don't think those have
33 resolved or haven't heard the resolved. If they have
34 resolved, I can withdraw my strenuous support of this
35 issue.

36
37 MR. RICHARDSON: Brett Richardson.
38 There's no known commercial fisheries violation in
39 subsistence areas during subsistence dates this year
40 that I know of. There were last year, and I don't know
41 that -- the result of that necessarily. I wouldn't say
42 just because it didn't happen one year. It's resolved
43 though, so.

44
45 CHAIRPERSON SKINNER: All right. Katya,
46 did you have further.....

47
48 MS. WESSELS: Yeah.

49
50 CHAIRPERSON SKINNER:questions?

1
2 MS. WESSELS: I have I have further the
3 questions. So, on the next bullet point, the population
4 surveys and that was mentioned, I think, by Pat, that
5 there was previous commitment by Fish and Wildlife, you
6 know, for funding and, you know, resources from the
7 refuges. Again, you know, if you can formulate for the
8 Board what is -- what do you want the Board to do and
9 also, consider, is that better just writing to the
10 regional director of Fish and Wildlife a letter instead
11 of putting it in a report? Just, you know, want the
12 Council to think about it?

13
14 CHAIRPERSON SKINNER: So, let me clarify
15 with the Council all the topics we've gone through so
16 far. Is everyone comfortable with those being in the
17 annual report, or are we considering pulling some of
18 them out? If everyone is comfortable with these being
19 in the annual report, then we don't need to keep coming
20 back to that question. So, for me, I'm comfortable with
21 all of those topics being in the annual report. Coral,
22 go ahead.

23
24 MS. CHERNOFF: Yeah, I guess I'm not as
25 comfortable with leaving enforcement in there again. You
26 know, we did get an answer back. We have got an answer
27 back several times. And then, yeah, I guess that's it.
28 I guess, really, my main thing is the management really
29 depends a lot of times on knowing what the population
30 is. And so, I just think weirs are important and that's
31 that would be my main ask is how do we get weirs funded.

32
33 CHAIRPERSON SKINNER: Okay. Let's take
34 the enforcement bullet. I am comfortable doing this on
35 kind of nod of heads, or if we need to vote, that's
36 fine. So, I've said I'm comfortable leaving it in. Coral
37 wants it taken out. Can we hear comments from other
38 Council members whether this should stay in or should
39 come out, and its enforcement in general. It's both --
40 I mean, it can be both wildlife and fisheries. I was
41 making my comments specifically in regards to fish.
42 Jeff, go ahead.

43
44 MR. RICHARDSON: I mean, I think
45 enforcement is important everywhere. And to single out
46 Cold Bay and Unalaska, I mean, I don't.....

47
48 CHAIRPERSON SKINNER: So, I did not, I
49 don't think I -- I did not intend that the comment would
50 be specific to Cold Bay and Unalaska. It can just say our

1 region. So, yeah, I was not intending.....

2

3 (Simultaneous speech)

4

5 MR. RICHARDSON: Okay. If it's a regional
6 item, I'm fine with it.

7

8 CHAIRPERSON SKINNER: Yeah. Go ahead,
9 Coral.

10

11 MS. CHERNOFF: Yeah. And I do just want
12 to add, I think instead of sending something to the
13 Board again about enforcement. They did recommend that
14 we invite refuge managers, federal fisheries managers
15 in the state to your meetings. And it says to learn more
16 about their management and enforcement. And I think that
17 is something that they've given us to do. And I think
18 to do that would be appropriate. And then if nothing
19 happens there, then we go back and send them another
20 letter and say we've done this.

21

22 CHAIRPERSON SKINNER: Pat, go ahead. Are
23 you still there?

24

25 MR. HOLMES: Oh, I was just -- yes,
26 ma'am. Sorry. I was scribbling down some notes here. I
27 think that I still believe that it would be important
28 to express the concerns on the enforcement to all the
29 agencies and the ones that do not have adequate personnel
30 to have an entire season to request them to provide some
31 coverage during the peak for the individual species by
32 area.

33

34 CHAIRPERSON SKINNER: Thank you.

35

36 MS. WESSELS: I'm getting a note here
37 from one of the OSM staff that the Board like, just so,
38 Council, understands that the Board cannot direct
39 funding under the law towards the enforcement. So, just
40 so you be aware that if anything is going to happen,
41 that's the agencies that will need to do something.

42

43 CHAIRPERSON SKINNER: So, I've heard from
44 four people about the enforcement issue. Are there
45 further comments on whether it should be left in or
46 taken out? So, at this point I've heard more people
47 speak in favor of leaving it in than taking it out. So,
48 if you disagree that it should be left in, now would be
49 the time to speak up.

50

1 MS. HAYDEN: Madam Chair, this is
2 Natasha.

3
4 CHAIRPERSON SKINNER: Go ahead.

5
6 MS. HAYDEN: I'm fine with leaving it in.

7
8 CHAIRPERSON SKINNER: Okay. Thank you.
9 And then this is not in the annual report, but yes, for
10 our next meeting, we should invite the agencies to talk
11 about enforcement. Just as a side note. Okay. Katya, if
12 you have more questions, go ahead.

13
14 MS. WESSELS: Well, I guess from this
15 discussion, you know, my understanding is the only
16 informational item is the number one, first bullet. And
17 the rest are your requesting the Board to reply. Is that
18 correct or are there is other items that are more
19 informational?

20
21 CHAIRPERSON SKINNER: Okay. And just for
22 clarity, I think the assessment of the apparent increase
23 in jack sockeye I that that's a letter. So, that's not
24 in the report, that's a letter, okay. Yes.....

25
26 MR. HOLMES: That would be the limnology,
27 limnology as well.

28
29 CHAIRPERSON SKINNER: Okay. Yep, and so,
30 number six is similar to number one. So, those both go
31 to the -- what I'm going to call an evaluation of the
32 current and anticipated subsistence needs. So, if we're
33 noting that there's that our resource is low. To me that
34 relates to what the current need is or will be if we
35 think it's low or going to be low. So, one and six would
36 be informational.

37
38 MS. WESSELS: So, is in the King Cove
39 processor closing, is that a separate topic or is it a
40 part of the Mortensen's Lagoon topic?

41
42 CHAIRPERSON SKINNER: For our region, I
43 think that the processor closing in King Cove
44 significantly impacts that community. To me, it raises
45 to the level of having its own paragraph. I guess
46 honestly, I don't really -- I can't really distinguish
47 that one if it's just informational or for if there's a
48 response. But I think it's very important that the Board
49 understand that and keep it in mind. So, I guess I feel
50 like if you make it informational, like it, oh, it

00080

1 doesn't really matter. That's not -- this is important.
2 It does matter, so.

3
4 MS. WESSELS: If it's not informational.
5 What would you like the Board to do about it?

6
7 CHAIRPERSON SKINNER: I -- my
8 understanding was when you're asking informational or
9 not, is if they're going to respond. I can't tell the
10 Board what to do. The Board can respond how it wants to
11 respond. Do I expect it to fix that problem? No, I do
12 not. But it'll they can respond how they like.

13
14 MR. HOLMES: Madam Chair.

15
16 CHAIRPERSON SKINNER: Yep, go ahead, Pat.

17
18 MR. HOLMES: On the closing of King Cove,
19 I think that that is one of the things that they need
20 to be thinking about is that there's traditionally the
21 place where most of their subsistence comes from, is on
22 the Cold Bay-Izembek side. And so, if they no longer
23 have an income, then they're going to be a lot more of
24 them coming in skiffs across to the Cold Bay side to do
25 their harvesting, particularly increasing pressure on
26 waterfowl the limited sockeye over there limited little
27 clusters of caribou. It's the whole arguments that we've
28 made for years on the King Cove Road, that losing the
29 plant over there is going to change the economics and
30 subsistence dynamics of the -- that whole part of the
31 Alaska Peninsula.....

32
33 CHAIRPERSON SKINNER: Jeff, go ahead.

34
35 MR. HOLMES:and they should be
36 aware that that's going to be a consequence.

37
38 CHAIRPERSON SKINNER: Okay. Thanks, Pat.
39 Jeff, go ahead.

40
41 MR. RICHARDSON: Jeff Wasley, Cold Bay.
42 Yeah, and it's tragic with the cannery. And, you know,
43 the community is going to continue to just get smaller.
44 It's already -- I was talking to a friend of mine from
45 King Cove, and she said it's down to about 320 people
46 now. So, I think regardless of what happens, that
47 community is going to continue to decrease in size. High
48 cost of living out here and losing their main economic
49 resource. I just -- I've seen the same thing on St. Paul
50 when they lost the crab processing plant and in a matter

00081

1 of years, the population, folks are just leaving. It's
2 just too expensive. So, Thank you.

3

4 CHAIRPERSON SKINNER: Thanks. Okay.
5 Alright. And I'm seeing nods from Leigh that she has
6 enough to draft her report. Or at least you've noted who
7 said what. So, if you need more info. Okay, so, if we
8 can wrap this one, we'll be at 2:00 and just in time to
9 hear from Jackie Keating.

10

11 MS. HONIG: Madam Chair, this is an
12 action item. So, if you could vote on all these, yes.

13

14 CHAIRPERSON SKINNER: Yes. Can we vote
15 on all of these topics. Is there any object -- oh, we
16 need a motion. Would someone like to make a motion that
17 our annual report include the topics as discussed?

18

19 MR. HOLMES: Move to adopt.

20

21 CHAIRPERSON SKINNER: Thank you, Pat. Is
22 there a second?

23

24 MR. RICHARDSON: Second.

25

26 CHAIRPERSON SKINNER: Thank you. Is there
27 any further discussion?

28

29 (No response)

30

31 Okay. Seeing and hearing none. Is there
32 any objection to the motion?

33

34 (No response)

35

36 Okay. Noting that passed unanimously.
37 Okay. We are done with the annual report topic. We're
38 going to see if Jackie Keating is available to do the
39 Alaska Department of Fish and Game Division of
40 Subsistence Report.

41

42 MS. KEATING: Good afternoon. This is
43 Jackie. Can you hear me okay?

44

45 CHAIRPERSON SKINNER: Excellent. Yes,
46 you're coming in good. Go ahead.

47

48 MS. KEATING: Great. Thank you, Madam
49 Chair and members of the Council. It's nice to hear
50 everybody and I apologize that I can't be there in person

1 or there longer for this meeting but appreciate the
2 opportunity to give our standard subsistence update. And
3 I believe in your supplemental materials. It looks like
4 it might be page 25. And as usual, just wanted to give
5 you an update of where we are on all of our current FRMP
6 funded projects for the region. Currently we've got FRMP
7 2022-454, which is the Comprehensive subsistence survey
8 update for Ouzinkie and Port Lions. We went over and
9 were able to do the community review meetings and both
10 of those communities last fall and as we speak, the
11 report is in internal review. We're looking forward to
12 getting that out to both Ouzinkie and Port Lions in the
13 next month so they have an opportunity to review the
14 final technical paper, and then we're hoping to have
15 that one fully published and online in December. So, we
16 look forward to sharing the final results with that and
17 it'll be fully available online.

18
19 And our other project for the region is
20 FRMP 2022-452. That's the False Pass and Nelson Lagoon
21 comprehensive surveys. We conducted that household
22 survey research and then this summer we had staff go out
23 and do some additional ethnographic interviews in Nelson
24 Lagoon that took place in July. And we're also working
25 on that final report. That one's going to be submitted
26 this coming June in 2026. And we have a few other
27 projects I wanted to update you on that are from other
28 funding sources, but very relevant to this region. We've
29 got the AKSSF Unalaska salmon surveys. So, that was a
30 collaborative project with the Q Tribe and with the
31 Division of Commercial Fisheries to do a combination of
32 household harvest surveys specific to salmon and those
33 were also, the aerial drone surveys with Andy Dietrich
34 and the Q Tribe. So, we're currently also writing that
35 final technical paper. That one should be out and
36 available for everyone this coming December.

37
38 And then we're working with the Kodiak
39 Area Native Association to produce some really cool
40 summaries of existing data that we have from previous
41 research and all the Kodiak communities. It's an effort
42 to make all of this more accessible so that we'll have
43 some summaries of what marine mammal survey data looks
44 like over time for subsistence uses as well as salmon.
45 We're doing one for vegetation, and then we're doing
46 kind of a general handout on where folks can find this
47 kind of household survey data and how to access it. And
48 then one other update as far as staffing, we've had
49 Maddie Christensen listening on to this meeting
50 yesterday and today. Maddie's our subsistence resource

1 specialist, currently one of the Southwest region. So,
2 we're really excited to have her. She's been with us for
3 about a year and I also, wanted to introduce Greg
4 Russell. He is our new subsistence resource specialist
5 III for the southwest region. So, for us that means the
6 Chignik out to Bristol Bay and including the Aleutians
7 and he just started about two weeks ago. He's starting
8 with us part-time and will be on full-time next month.
9 So, I imagine he'll be at your winter meeting and
10 available for anything in that region. And that's all I
11 have. Wanted to keep it brief, but I'm happy to answer
12 any questions if there are some. And thank you very much
13 for your time.

14
15 CHAIRPERSON SKINNER: All right. Thank
16 you, Jackie. Are there questions for Jackie? Or
17 comments?

18
19 (No response)

20
21 All right. Well, I'm not seeing or
22 hearing any questions so.....

23
24 MR. HOLMES: (Indiscernible). Madam
25 Chair.

26
27 CHAIRPERSON SKINNER: Go ahead, Pat.

28
29 MR. HOLMES: Yeah. Jackie, I was
30 wondering, you folks had done some work or are doing
31 work on the folks on the Coast Guard Base on their
32 utilization of resources. And you know, traditionally
33 they are quite a different culture and more sport related
34 in their utilization. Are you identifying things that
35 are taken with, let's say, sports fishing gear versus,
36 gill nets or what methodology that they use to get their
37 resources? And it's of concern because of -- several
38 years back when we had the rural/non-rural, I believe
39 we got a determination from the Federal Board that you
40 know, they were a separate community from the folks in
41 Kodiak. And so, it'd be interesting knowing what they're
42 taking, but I think most locals wouldn't really include
43 them as part of our normal subsistence culture. So, I'm
44 looking forward to reading your report when it comes
45 out. Thank you.

46
47 MS. KEATING: Through the Chair. Member
48 Holmes, thanks for the question. And I know I probably
49 missed some important discussion yesterday about
50 characterizing the Coast Guard Base. I believe I can

1 give a pretty specific answer for you. I'm just kind of
2 pulling up the information. But I think as most members
3 of this body know, we were able to update subsistence
4 harvest information for the Kodiak Road System in 2022
5 for the 2021 study year. That included looking at the
6 Coast Guard Kodiak Station Census Area, and I'm pulling
7 up to see if I can look at salmon harvests by gear type
8 here. And it does look like for all species for the
9 Coast Guard Station strata that it was all through road
10 and rail harvest. And for reference, that is technical
11 paper, let's see, number five -- five of six, that was
12 recently published last year. I've presented some draft
13 findings to this body previously, but that is all
14 available online, and if there's any specific figures I
15 can provide, please do let me know.

16
17 MR. HOLMES: Roger. Thank you. That's
18 kind of what I had expected. Maybe folks could email me
19 the paper. I appreciate it a lot. Thank you. Bye.

20
21 CHAIRPERSON SKINNER: All right. Are
22 there further questions for Jackie?

23
24 (No response)

25
26 Okay. All right. Jackie, I'm not seeing
27 or hearing any questions. Thank you for your concise and
28 excellent report.

29
30 MS. KEATING: Thank you.

31
32 CHAIRPERSON SKINNER: Thanks. Okay.
33 After our -- sorry after lunch, I did say we take Izembek
34 after Jackie. So, if Izembek is ready to present then
35 we won't keep you the rest of the day if you'd like to
36 go do your regular jobs.

37
38 (Pause)

39
40 MR. KALIN: Good afternoon, Madam Chair
41 and Council members. My name is Jeff Kalin, Deputy Refuge
42 Manager here at National Wildlife Refuge. Okay, better?
43 And I am joined by my -- by our Wildlife Biologist
44 Allison Williams. We'll give you a quick report on the
45 subsistence hunt on Izembek National Wildlife Refuge.
46 For Unit 9D, the southern Alaska Peninsula, the '24-'25
47 federal subsistence caribou hunt ran from November 15th,
48 2024, through March 31st, 2025. The current federal
49 subsistence hunt has run through -- started August 1st
50 and will run through September 30th. After consultation

1 with ADF&G supporting -- supported maintaining harvest
2 regulations at the same level as prior years of federal
3 subsistence caribou hunts, with the harvest limit at
4 three. To date, I do not have any reports from either
5 of those two hunts. For Unimak Unit 10, the federal
6 subsistence caribou hunt on Unit 10 ran from August 1st
7 through September 30th, 2025. The harvest limit is one
8 bull per federal regulation registered permit. Unimak
9 Unit 10 is open to residents of Akutan and Cold Bay,
10 False Pass, King Cove, Nelson Lagoon, and Sand Point and
11 also no reported harvest from that hunt.
12

13 MS. WILLIAMS: All right. Yeah. Good
14 afternoon, Madam Chair, and members of the Council. For
15 the record again, my name is Allison Williams, and I'm
16 the Wildlife Biologist at Izembek National Wildlife
17 Refuge. And I'm just going to run through a couple of
18 the biological projects we've had going on since we last
19 met, and this is on page 211 of the meeting book. I'll
20 start with some of the avian projects that we've worked
21 on. This year we again conducted the Alaska Landbird
22 Monitoring Survey, which is designed to monitor trends
23 in breeding bird populations on the refuge over time.
24 For the survey, we have a grid of 25 points, each point
25 we visit for ten minutes and record everything we hear
26 or see during that period, and we conducted this on June
27 25th through 27th. A highlight of the survey was
28 observing multiple breeding pairs of the Pacific golden
29 plover, which is a species that prior to 2024, we did
30 not have documentation of them breeding on the refuge,
31 but we did find evidence in 2024. So, it appears that
32 they are now breeding in this area and there is a
33 photograph of one of them on the next page in your
34 reading booklet.
35

36 Another breeding bird survey we
37 conducted was the Breeding Bird Survey, is a multi-
38 international survey that follows the Road System
39 (indiscernible) with 25 -- actually, pardon 25 miles of
40 survey route and 50 points to survey. We conducted this
41 on June 30th and then due to weather had to pause for a
42 couple of days and continued and completed on July 4th.
43 During this survey, we detected 39 unique species,
44 including multiple pairs, breeding pairs of the Pacific
45 golden plover. Another thing that we're continuing to
46 do is monitor the active walrus haul out in Izembek
47 Refuge on Unimak Island. There is an active haulout in
48 Izembek Lagoon, where we've seen up to about 500 animals
49 hauled out and resting between foraging trips, out to
50 the Bering Sea. And we are monitoring this because the

1 use of the haul out and then the levels of disturbance
2 to walruses is important to keep track of as these
3 disturbance events can result in stampeding injuries and
4 mortality.

5
6 I have multiple things that we can
7 report on our work on invasive species. Invasive species
8 compete with native plant and wildlife species and
9 disrupt ecosystems that subsistence users rely on. So,
10 the Fish and Wildlife Service is continually working to
11 limit the spread of invasive species in Alaska. So, we
12 had staff from the Fish and Wildlife Service's Invasive
13 Species Program visit Izembek throughout the month of
14 July. While they were here, they conducted a number of
15 surveys for invasive species on Izembek National
16 Wildlife Refuge, as well as in the town of Cold Bay.
17 They continued some treatments on invasive species
18 already present here, including creeping thistle, orange
19 hawkweed, oxeye daisy, creeping buttercup, and European
20 mountain ash. While in Cold Bay, the Invasive Species
21 Team did identify a couple new infestations of invasive
22 plants, including creeping buttercup, tall buttercup,
23 meadow hawkweed, and creeping thistle. The photo on this
24 page, you'll see a new infestation that was found on an
25 island within Izembek Lagoon, and so discussions are
26 ongoing on how to effectively address these
27 infestations.

28
29 The invasive species staff also set
30 traps for crabs here in Cold Bay, as well as in King
31 Cove to survey for invasive European green crab, which
32 can have significant and destructive effects on Native
33 aquatic plants and crustaceans, and this was first found
34 in Alaska in 2022. Fortunately, there was no evidence
35 of European green crab found here or in King Cove. Refuge
36 staff also joined some staff from Alaska Maritime Refuge
37 and hosted a slug off event in the community of King
38 Cove. The non-Native European black slug is established
39 in the community, and this event was aimed at attempting
40 to limit the slug's population spread and will help to
41 protect subsistence resources such as plants and
42 berries. During the slug-off event, community members
43 collected slugs and competed for prizes, and over the
44 course of 24 hours, they collected a total of 3,940
45 slugs that weighed 50.8lb.

46
47 I have one additional thing I'll report,
48 that happened recently. Last week, biologists from the
49 Fish and Wildlife Service, as well as the USDA Wildlife
50 Services, visited False Pass after receiving reports of

1 possible rat sightings earlier this year. Invasive rat
2 species rank among some of the most destructive invasive
3 species globally and inflict billions of dollars in
4 economic losses annually and disrupt critical habits --
5 habitats. Preventing invasive rats from reaching islands
6 is especially important because their presence can
7 devastate Native ecosystems, spread disease, and cause
8 impact to communities that are reliant on fisheries and
9 subsistence resources. The goal of this trip was to find
10 out whether rats were established or present in False
11 Pass, and to provide recommendations to the community
12 to prevent rats from becoming established. During a
13 variety of different assessment methods, no rats were
14 detected, so False Pass is very likely rat free, but
15 does remain at risk from shipping cargo traffic from
16 other communities in the state. The community engagement
17 experience there was very strong on this issue and moving
18 forward, Fish and Wildlife Service and USDA will be
19 working with the community to establish rat prevention
20 plans. In addition, the Aleutian-Pribilof Islands
21 Association is looking to pursue an invasive species
22 component of their EPA IGAP grant in the coming fiscal
23 year to support rat prevention efforts.

24
25 Izembek did conduct our annual eelgrass
26 survey of Izembek and Kinzarof lagoons. This long-term
27 monitoring study is designed to assess changes in the
28 status and trends and distribution and abundance of
29 eelgrass. This year we had staff from the USGS Alaska
30 Science Center, as well as other eelgrass experts from
31 the East Coast and Washington State come and help us on
32 this survey. During this survey, we visited about 175
33 points in the lagoons and recorded information on
34 eelgrass cover and length, seaweed cover, water
35 temperature, water salinity, water depth and then
36 presence of invertebrates. Based on the preliminary
37 observations from the survey this year, this was a year
38 of high productivity for eelgrass. We did also conduct
39 our annual bear stream survey in late August. This survey
40 is designed to estimate -- understand population trends
41 in the area along the Lower Alaska Peninsula, and
42 specifically in high use corridors such as anadromous
43 streams. The report from the survey is still being
44 completed, but this survey yielded low counts of bears
45 along the stream corridors, which likely reflects a
46 shift in resource availability and subsequent
47 distribution change of bears.

48
49 We do currently also have USGS staff
50 here collecting samples for avian influenza research and

1 monitoring. And so, they are collecting these from
2 hunter harvested birds and then fecal material at roost
3 sites just to detect and monitor presence of avian
4 influenza. Some upcoming work we have going on, is the
5 brant age ratio or productivity survey is scheduled for
6 the first couple weeks of October. The accurate
7 estimates of age composition can help us inform past
8 reproductive success and future population trajectories.
9 This productivity index that can be obtained here at
10 Izembek for the entire Pacific brant population, is
11 generated from ground and boat-based count ratios of
12 adult to juvenile birds and then these data are shared
13 with USGS and managers. And one additional thing I'll
14 share is we're also piloting a new survey effort
15 monitoring the behavior of (indiscernible) brant and the
16 rates of disturbance to brant during their migratory
17 stopover here at Izembek. This survey aims to replicate
18 a similar effort conducted during the 1980s, when
19 recreational use of the refuge was lower than it is
20 currently. During the fall staging period, disruptions
21 to foraging and resting birds can have impacts to brant
22 body condition, migration and then possibly future
23 reproductive success. So, our hope with this is to
24 understand the changes in the level of disturbance and
25 use of the refuge over the past four decades and any
26 subsequent changes in brant access to food and rest while
27 here. That concludes my report and we're happy to take
28 any questions.

29
30 CHAIRPERSON SKINNER: Thanks. I had a
31 question related to the European green crab and then the
32 rats. How did -- or why did you decide to set the traps
33 for crabs? And I guess I'm wondering, is this part of,
34 like, a statewide effort and you're kind of linked into
35 a network doing that? And then with crab -- or the rats,
36 why did you go to False Pass like you talked about ships,
37 but are there a lot of big ships that go through False
38 Pass, or why did you pick that there to go check if
39 there were rats? And then how do you decide if you're
40 going to go to other places? Thanks.

41
42 MS. WILLIAMS: Yeah, through the Chair.
43 For the record, this is Alison Williams, again. Thank
44 you both, great questions. The crab trap effort is
45 something that's been ongoing here in Cold Bay and for
46 multiple years over in King Cove over the past five
47 years or so. So, it's a continual monitoring effort just
48 to see what is currently present and get some data on
49 the Native crab species here and in the event that the
50 invasive does show up, we understand what might be

1 changing with those Native species as well. And this is
2 a similar effort to -- that's been being conducted across
3 the state since. We know that there are European green
4 crabs in Southeast Alaska, and they may spread further.
5 And so, we have been setting those traps in areas that
6 are likely to have those introduced or where they might
7 show up first. So, places like docks and harbors or
8 eelgrass beds that crabs are drawn to. And the question
9 on the rat also, a great question. And the reason False
10 Pass was deemed to be something of high importance was
11 because the community reached out to us and asked for
12 assistance in evaluating presence of rats and how to
13 prevent or deal with rats if they were present and so
14 that that was one reason. Another is because False Pass
15 is located on the island, and historically, islands are
16 more sensitive ecosystems where rats can have really
17 large impacts to the Native wildlife.

18
19 CHAIRPERSON SKINNER: Okay. Thanks.
20 Jeff, Go ahead.

21
22 MR. WASLEY: Thanks. Jeff Wasley. Just
23 curious if you're seeing a few more gyrfalcons coming
24 back or if they're slowly recovering? And on a side
25 note, I'd just like to thank the three of you for all
26 your work out here. And gee guys I can see they are
27 doing a lot. And there's a lot more stuff they haven't
28 listed here that they're three folks that do a lot to
29 keep an eye on the resource and do a great job. So,
30 thank you.

31
32 MS. WILLIAMS: Yeah. Through the Chair.
33 This is Allison Williams. Thank you, Councilman Wesley.
34 Appreciate the shout out and I have noticed a number of
35 gyrfalcons this year, so that is promising. It -- in
36 2021, the ADF&G had come out and done some work on
37 gyrfalcons, and in 2022 did notice fewer and seemed to
38 think that might have been tied to the avian influenza
39 outbreak. And in subsequent years, I also noticed fewer.
40 But there's not any formal survey to point to what
41 they're doing out here. But the sign that there's been
42 a number of sightings this fall already is a good sign.

43
44 CHAIRPERSON SKINNER: All right. Daniel,
45 go ahead.

46
47 MR. SMITH: Yeah. Thank you, Madam Chair.
48 This is Daniel Smith. Yeah. Thank you for your report.
49 It's very impressive with how much work you've just three
50 people are doing here in Izembek. I had one question

1 about the eelgrass surveys. And -- how is this the start
2 of a long-term monitoring effort, or has it been like,
3 does it date back to however long? And then second
4 question if it has dated back, is there an increase in
5 the amount of eelgrass, and has it been more productive?
6 And has that kind of one of the reasons why it's
7 suspected that brant are coming back and overwintering
8 here? Thank you.

9
10 MS. WILLIAMS: Yeah. Through the Chair.
11 This is Alison Williams, thank you for your questions.
12 The eelgrass monitoring effort was started back in 2007
13 as a repeated survey for this area. And so, it has been
14 going on since then. And in that time, we've seen some
15 shifts in the eelgrass, not necessarily big declines or
16 increases. It's been fairly stable, but we have seen
17 shifts in the extent of the eelgrass beds. There's some
18 areas where some of them eroded away and then areas
19 where they grew. And so, overall, it's a relatively
20 stable trend just as far as total coverage. And I believe
21 your other question was directed to why brant might be
22 overwintering here more. And I don't know that we have
23 a conclusive answer on that, but probably the main idea
24 is that the lagoon appears to freeze over less in the
25 winter. And so, that -- those eelgrass beds are now
26 accessible year-round to birds, whereas in the past they
27 were covered by sea ice.

28
29 CHAIRPERSON SKINNER: Sounds like Pat has
30 his hand up.

31
32 MR. HOLMES: Yes, ma'am. A few questions
33 there. Thank you for your report. I guess one of the
34 things that I always curious about is, are you getting
35 support from headquarters for your aerial surveys,
36 particularly on caribou? One time we went all the way
37 to the top to get that for you but seemed like it only
38 lasted a few years. Some of the tables that we saw on
39 populations for the Peninsula look variable and some
40 gaps in the surveys for there and on Unit 10. So, is
41 that something that we could help try to get you some
42 more support, or are things working out okay for keeping
43 your planes and pilots available for when you need them?

44
45 MS. WILLIAMS: Yeah. Through the Chair.
46 This is Allison Williams. Thank you for your question.
47 We still run into some logistical issues that do make
48 it challenging to get surveys done out here, including
49 weather. Our pilots are currently based in Anchorage,
50 and so they do have to travel quite a ways to get down

1 here. And so, there's often points along that path that
2 prevent them from getting down. And so, we do tend to
3 experience delays in getting some of these surveys done.
4 But it -- I -- yeah, we have been getting good support
5 from the program to try and get things done that are
6 high priority. So, this year we were able to do the bear
7 survey this summer. And we also were able to do that
8 caribou survey this winter.

9
10 MR. HOLMES: Oh, that is splendid. I have
11 a couple of more questions on the -- your discussion
12 there on the subsistence hunt on Unimak Island. I think
13 a couple of years ago you folks or Fish and Game noted
14 that during the calving season that the females had moved
15 west up into the northwest part of the island, up in the
16 mountains to probably keep away from predators. Is that
17 still the case that a lot of your breeding population
18 is moved up to that part of the island?

19
20 MS. WILLIAMS: Yeah, through the Chair.
21 This is Allison Williams. So, the state did come out and
22 conduct some caribou surveys this summer trying to get
23 a good population estimate. And then we also conducted
24 our survey earlier in the winter. And in both of those,
25 we actually did see caribou spread throughout the island
26 and in good numbers. And so, it seems like this past
27 year they were more widely distributed over the island.

28
29 MR. HOLMES: Oh, that's splendid. That's
30 excellent good news. Has the wolf population dropped a
31 bit or any notion on that?

32
33 MS. WILLIAMS: Yeah, through the Chair.
34 This is Alison Williams. We don't have any current, like
35 survey efforts specifically aimed at wolves. They are
36 pretty hard to detect from the air, which is sometimes
37 surprising. I think they are good at hiding and so we
38 don't often see them from the air. I would say on a
39 typical aerial survey, I might see anywhere from four
40 to a dozen. And so, I don't really have a good finger
41 on the pulse of what's happening with that population.

42
43 MR. HOLMES: Okay. Roger that. Yeah, they
44 are pretty difficult to keep track of. I know a couple
45 of seasons that we had to camp on the east and west
46 Anchor Cove there was somewhat bothersome having them
47 walk through the camp during the middle of the day when
48 we were trying to sleep. But, and anyway, I would like
49 to thank you for all your hard work. General trends on
50 the brant and your migratory waterfowl are positive?

1
2 MS. WILLIAMS: Yeah, through the Chair.
3 This is Allison Williams. Most surveys of the migratory
4 waterfowl have shown drops in populations over the last
5 couple years. And that, I believe, is why some of the
6 geese species experienced closures or bag limit
7 reductions or harvest reductions. And so, it does appear
8 to be a slight population decline in the past couple
9 seasons.

10
11 MR. HOLMES: What critters are those that
12 seem to be...?
13

14 MS. WILLIAMS: Okay. This is Allison
15 Williams. I guess I was specifically speaking to emperor
16 geese, who are now experiencing hunting closures.
17 Cackling geese, which in this region did experience a
18 reduction in bag limit and then brant, which this year
19 experienced a reduced hunting season.
20

21 CHAIRPERSON SKINNER: All right. We're
22 going to give you a chance.
23

24 MR. HOLMES: Okay, well thank you.
25

26 CHAIRPERSON SKINNER: Thanks, Pat.
27 Alright, let's see if there's any other questions for
28 our Izembek folks here.
29

30 (No response)
31

32 Okay. I am not hearing or seeing any.
33 Thank you. Great job answering all those questions.
34

35 (Pause)
36

37 Okay. So, that completes the two items
38 that we took completely out of order. I did say that
39 after we finished annual report, we would go back to the
40 federal subsistence program, program review discussion
41 and this is where we would identify items to include in
42 a comment letter, if we want to submit a letter. And we
43 have to identify those things on the record today if we
44 want to do a letter for -- reminder that the notice for
45 this opportunity to comment on the scoping has not
46 published yet so we are operating off of some fairly
47 basic information. But this meeting is our opportunity
48 to formulate comments. So, my plan for going through
49 this is to go through the bullet points that we heard.
50 I am not anticipating or I'm not going to try to get --

1 what I'm most interested in, or what I think would be
2 most useful is to get comments on the record about each
3 of the bullets. And so, if different people have slightly
4 different takes on each bullet, I consider that to be
5 okay. I think all of this feedback will be helpful. And
6 of course, individuals can submit their own comments
7 once the notice gets published. In addition to the points
8 we were already provided, we have an opportunity to
9 suggest other things that should be covered during a
10 program review if a program review is to occur. So,
11 there -- you're free to suggest completely new things
12 as well.

13
14 So, I'm going to start by going through
15 the bullets that we received. So, the first one was move
16 of the Office of Subsistence Management to the Office
17 of the Assistant Secretary for Policy, Management and
18 Budget. My observation is that, I mean, number one, this
19 just happened. So, it seems like it's fair to give it
20 some time to see how it really works, but also, I would
21 have concerns about moving it anywhere else in the near
22 future, because it seems like a highly disruptive thing
23 to happen. Moving a department, I'm going to call it a
24 department, completely between two different kind of
25 operating branches and I would be very concerned if an
26 outcome was that in two years OSM got moved somewhere
27 else. I think that would be really, really hard on the
28 staff. So, those are my observations or my thoughts, and
29 I guess the change hasn't been in place. I mean, I've
30 heard it's working well, I don't -- for me, it hasn't
31 even been in place long enough to really see yet. I
32 think the regulations just got transferred over, so it
33 feels like it just barely maybe finish the transition
34 process very, very recently. But does anyone else have
35 comments that they would like to make on the record and
36 note down for this point, which is the move of OSM?

37
38 MS. HAYDEN: Madam Chair, this is
39 Natasha.

40
41 CHAIRPERSON SKINNER: Go ahead, Natasha.

42
43 MS. HAYDEN: Yes. I would like to state
44 on the record that I think that when OSM has had an
45 opportunity to fully adjust to the change, that we will
46 find that it is going to be extremely beneficial that
47 the move had been made. I think that the Office of
48 Subsistence Management is -- having it moved does remove
49 that layer of bureaucracy from how it is able to do its
50 work, and that I just think that it would be really

1 disruptive for the Secretaries to consider to move it
2 again in -- for any reason and that it is very -- what
3 is the word premature. So, thank you.

4

5 CHAIRPERSON SKINNER: Thanks, Natasha.
6 Are there any further comments or observations on this
7 point? Coral, go ahead.

8

9 MR. HOLMES: I'm still unclear.

10

11 CHAIRPERSON SKINNER: Yeah, we're going
12 to go to Coral, and then we'll go to Pat.

13

14 MS. CHERNOFF: Thank you, Madam Chair.
15 This is Coral. Yeah, I think also, it has been too little
16 time, and the move has barely happened to see what the
17 effect of it is.

18

19 CHAIRPERSON SKINNER: Thank you. Pat, go
20 ahead.

21

22 MR. HOLMES: I -- it's been done. It's
23 done. I hope it gets -- able to stay there. I'm sorry
24 that we didn't have any -- weren't solicited for any
25 input on when that whole big upheaval occurred, but
26 that's life. So, I just hope they leave it alone and let
27 things get functional. Thank you, ma'am.

28

29 CHAIRPERSON SKINNER: Thank you. Any
30 further comments?

31

32 (No comments)

33

34 Okay. The next point is criteria for
35 Regional Advisory Council membership in -- so if you
36 apply for the RAC, there's a kind of box on the
37 application that goes over criteria for who qualifies.
38 In my mind, it's also related to this would be the whole
39 process of the nomination and appointment. So, comments
40 on that I think might be helpful as well. But the
41 qualifications or the criteria that are -- that you have
42 to be a resident of the region that you're going to
43 represent. You have to have resource knowledge so
44 knowledge of the region's fish and wildlife resources,
45 you have to have knowledge of the region's subsistence
46 uses, customs and traditions. And when I say have to, I
47 guess, I mean, your kind of graded on a curve. So, the
48 more of these you have the better, knowledge of the
49 region, sport, commercial and other uses, leadership and
50 experience with local and regional organizations,

1 communication skills, ability to communicate effectively
2 and then availability, which is willingness to travel
3 to attend two or more RAC meetings each year and
4 occasionally attend the Federal Subsistence Board. And
5 then on the process side, the nomination process is
6 public, so anybody in the region can nominate
7 themselves. Public notices are posted or issued letting
8 people know when the nomination period is open. I think
9 we heard yesterday that in the process, when names are
10 sent up to the Secretary, the Secretaries do see the
11 list of every nominee who meets the kind of the minimum
12 qualifications and the appointments are made by the
13 Secretaries. So, are there any comments on the criteria
14 or process for RAC membership? If not, one comment I
15 have, I don't know if it's fixable, but it is a very
16 long process. So, you submit your nomination or
17 application paperwork and then it feels like a long time
18 before you find out if you were appointed or not. And
19 in the meantime, you know, maybe when you applied, you
20 had the time to do it. But a lot can happen in, you
21 know, 10 or 11 months. So, the long time period can be
22 really challenging. I understand that may just be how
23 it is because it's the federal government. But that's
24 one observation that I have. Coral, go ahead.

25
26 MS. CHERNOFF: So, I guess I will say
27 this. Yesterday we learned about the -- and -- well --
28 so, yesterday -- I don't know if this is something that
29 is under this comment, but yesterday we learned that the
30 makeup of this Council is -- has to be 70% subsistence
31 user, 30% commercial sport, which I always felt to be
32 interesting. I would expect that a subsistence Board
33 would be a full Board of subsistence. I often see some
34 votes that are in -- that go in direct opposition to
35 subsistence, which is -- feels like you know, when the
36 Board looks at things, it -- the recommendation they can
37 go against -- well, section 805(c), that's what we're
38 here for. Provides that the Board will accept the
39 recommendations unless the recognized principles of fish
40 and wildlife management are gone against, or if it's
41 detrimental to the satisfaction of subsistence needs,
42 or if the recommendation is not supported by substantial
43 evidence. And I find it difficult when, like sport or
44 commercial entities are in direct opposition to
45 subsistence sometimes. And then when I look at Fisheries
46 Boards, fisheries Boards have fisheries people seated
47 on them. Other Boards have, you know, the state
48 Department of Fish and Game has, people who are eligible
49 for sport. And I feel like the Subsistence Board should
50 just be filled with people who are knowledgeable and use

1 subsistence. So, I've always just felt that to be an
2 awkward kind of a criteria for the makeup of our Board,
3 which -- I guess that's all on that.

4
5 CHAIRPERSON SKINNER: Thank you. Brett,
6 go ahead.

7
8 MR. RICHARDSON: Brett Richardson. I
9 would agree with the Chair's previous comment in that
10 once the application is submitted and that process
11 starts and the interview and the reference checks and
12 all that goes on, there doesn't seem to be a midterm
13 update at all, which would be nice. Maybe halfway
14 through. What is it, a ten-month process? It'd be great
15 to get a, hey, you're still, you know, under
16 consideration, email from whomever. Just simply to plan
17 for the future. And another point is, I don't know if
18 there is room for this in here. Maybe federal regulations
19 and state regulations. Sorry to jump ahead a little bit,
20 but if we're looking at the insurance of meeting the
21 needs of subsistence users, I would still emphasize the
22 need for an online portal to sign up for permits, which
23 is -- I don't know when that would be happening. We
24 heard about that a little bit, but no concrete update.
25 And, and I've been looking online this entire meeting
26 about how to get a permit and there's nothing, absolutely
27 nothing. Not even a link to a PDF or call this number
28 or email this person and I mean, that would seem to me
29 to be a part of that process somewhere. So, I'm not sure
30 if that fits in here, but thank you.

31
32 CHAIRPERSON SKINNER: I think Pat has his
33 hand up.

34
35 MR. HOLMES: Madam Chair, question or
36 thought. I emotionally agree strongly with Coral, but I
37 believe 20, 25 years back, I don't know, the staff might
38 have to look it up, but at one point, we were all
39 subsistence, and then there was some type of a federal
40 lawsuit or case or something, and then they came back
41 and said, well, you need to have a portion of your group
42 the commercial sport. So, I think that's kind of a tied
43 down thing that came in from some legal decision, but I
44 really don't know.

45
46 CHAIRPERSON SKINNER: Okay. Are there
47 other comments on the membership? Because otherwise I'm
48 going to piggyback on Brett's last comment about online
49 permits.

50

1 MS. HAYDEN: Madam Chair, this is
2 Natasha.

3
4 CHAIRPERSON SKINNER: Okay. We'll hear
5 from Jeff first and then Natasha.

6
7 MS. HAYDEN: Okay.

8
9 MR. WASLEY: Thank you. Jeff Wasley. I
10 think the 70/30 is fair. Like, have a little balance and
11 perspectives, and the subsistence still have the vast
12 majority, and it does -- it's going to create some
13 tension. But, like, I think that's a good thing to have,
14 like a different perspectives, and then come together
15 and figure it out. So, thank you.

16
17 CHAIRPERSON SKINNER: Thank you.
18 Natasha, go ahead.

19
20 MS. HAYDEN: Thanks, Madam Chair. Natasha
21 Hayden. I am in agreement about the ten-month process.
22 Someplace in a midpoint update just to let applicants
23 know if they are still in consideration would be really
24 nice. And I am also not -- or let me put it in the
25 affirmative, I would be supportive of the ratio of
26 subsistence to sport and commercial users to be even
27 bigger. I think that, you know, 80/20 would be more
28 appropriate. I think that it is good to be able to hear
29 from sport and commercial users about the needs and
30 activities of what's happening, but ANILCA clearly has
31 got in Section 8, that is a preference for subsistence
32 -- the subsistence priority and that I think that it is
33 having too many voices, having a voting say in
34 recommendations is a huge potential for deviating away
35 from making recommendations that then are going to
36 provide for subsistence priority harvesting for
37 federally qualified users. So, I mean, I think that, you
38 know, at the very most 70/30, preferably it would be
39 more like 80/20 or even 90/10. So, thank you.

40
41 CHAIRPERSON SKINNER: Thanks. So, my
42 comment, piggybacking on Brett's comment about the
43 online permits. I agree that having more access online
44 or more things available online is important. My sense
45 is that with the subsistence program and I'm assuming
46 this kind of grew up -- this kind of grew -- this was
47 how it was in the beginning. I think my sense is there
48 was a focus on, you know, person to person or in person
49 contact and that -- that's how -- maybe that's how people
50 preferred it to be, or that's what people thought the,

1 you know, the program should be. So, you need to show
2 up and talk to someone face to face to get something or
3 get your questions answered. I think that we're in a
4 different time now with -- I mean, everyone is constantly
5 on their iPhone and computer and social media, and I
6 think especially with younger generations, they're just
7 going to be -- they're going to be expecting to see it
8 online or use their phone to get to it or not have to I
9 mean, even use a telephone. Young people don't even make
10 phone calls. It's all like text or chat or whatever. So,
11 I do think having online like access and online
12 interfaces, I would prefer it. But I also think as we
13 move forward, that's just the direction things are going
14 and that the program needs to keep up with that, or it's
15 going to just get left behind because younger people
16 aren't going to bother trying to interface with a program
17 that doesn't allow them to do it via electronic
18 methodology. So, on that point, are there other comments
19 on if you want to call it online permits or online access
20 or online interface?

21
22 (No response)

23
24 Okay. I'm going to go back to.....

25
26 MR. HOLMES: Madam.

27
28 CHAIRPERSON SKINNER: Yep. Go ahead, Pat.

29
30 MR. HOLMES: Madam Chair, I don't know
31 how it's particularly done now, but I, you know, on the
32 state side, you can just phone them up and they'll just
33 mail it to you. They used to have a designated permit
34 folks, and the villages at the VSO office, and, you
35 know, that's having contact in your community where you
36 can just do it was certainly simpler and online, that
37 would be fine, too. But I think it's good to have a --
38 multiple access and the easy way like that. Thank you.

39
40 CHAIRPERSON SKINNER: Thanks. Okay, the
41 next bullet point on the list we had is membership of
42 the Federal Subsistence Board and so, what we heard in
43 the presentation, I think, was that originally the
44 Federal Subsistence Board was the five federal agency
45 heads and then one non-government chair. Over time, more
46 public members were added. So, the current balance is
47 six public members and then five -- the five agency
48 heads and I guess I'll open that up to comment. Does
49 that seem to work? Not work? Comments? No -- sorry.
50 Coral like kind of moves her hands and she doesn't,

1 like, raise her hand. So, I'm trying to guess, is she
2 raising her hand or not raising her hand? Because your
3 hand going like this is the same as when you raise your
4 hand. Okay, Coral.

5
6 MS. CHERNOFF: Yeah. I think it was great
7 to increase the membership of the Federal Subsistence
8 Board, adding more public members. It definitely, you
9 know, when you get to voting and balancing it out, it
10 definitely feels more balanced than it did previously,
11 so. And I guess I don't necessarily, like I don't predict
12 or wouldn't ask, you know, probably for more public
13 members. But I think where it sits now is kind of a
14 perfect balance when you look at balancing for voting.

15
16 CHAIRPERSON SKINNER: Further comments?

17
18 MS. HAYDEN: Madam Chair, this is
19 Natasha.

20
21 CHAIRPERSON SKINNER: Go ahead, Natasha.

22
23 MS. HAYDEN: Yes. I am also really
24 appreciative of the additional public members on the
25 Federal Subsistence Board, and I am particularly
26 supportive of the mechanism of which those members are
27 identified. I've seen -- I wish I could recall their
28 names right off the bat, but there's really highly
29 qualified individuals that were appointed to the Federal
30 Subsistence Board that were nominated by tribes, tribal
31 organizations, or Alaska Native people from around the
32 state. And they represent a vast variety of subsistence
33 needs, practices, traditions and customs. And, you know,
34 I think it was a huge step in the right direction that
35 had been missing for pretty much the entire history of
36 the Federal Subsistence Board since the passage of
37 ANILCA. So, yeah, I'm really appreciative of those
38 developments. Thank you.

39
40 CHAIRPERSON SKINNER: Okay, we'll take
41 Pat and then Coral.

42
43 MR. HOLMES: Madam Chair, I, yeah, it's
44 good to have those extra members. And I agree with
45 Natasha, and I think that's really swell. I can't
46 remember exactly, its foggy brain, but I think that there
47 should be in the future some consideration on geographic
48 differential, because I just really don't recall that
49 we've got somebody on there from that looks at our neck
50 of the woods in the northern Gulf and Alaska Peninsula.

000100

1 Thank you.

2

3 CHAIRPERSON SKINNER: Coral.

4

5 MS. CHERNOFF: Yes, Pat. I will just say
6 I agree with Pat. That was going to be my comment. I
7 know there was -- so if there's not already -- there was
8 talk about it -- if it was -- if those members that were
9 nominated were going to change geographical areas from
10 nomination to nomination period. And so, if that's not
11 happening already, I would like to suggest that that be
12 on the list of something that needs some improvement. I
13 don't know right now who is the closest area that might
14 be representing our area that's on the Board. But, yeah,
15 I think having regular, consistent representation from
16 the different geographic areas is necessary.

17

18 CHAIRPERSON SKINNER: Thanks. Go ahead,
19 Jeff.

20

21 MR. WASLEY: Thank you. Jeff Wasley. I
22 think it's a little early. Like to see how it works out.
23 So, like, this just happened, right. I mean, so, we'll
24 see how it goes and hopefully it'll lead to a better
25 management. Thank you.

26

27 CHAIRPERSON SKINNER: So, I will make my
28 comment. So, one observation I have after attending, I
29 think at the July meeting they had all the new public
30 members, and it is a real thing. And I'm not saying it's
31 a bad thing, but it is a real thing that in the past,
32 the federal agency heads had the majority of the members
33 on the Board. One advantage of that is if the Board
34 voted to do something, you could be pretty sure that
35 they could and would be able to carry out whatever the
36 vote was. Currently, because there's more public
37 members, there is a potential that the public members
38 will vote in one direction, and there's six of them. So,
39 they could vote for something that the federal agency
40 heads can't or don't want to do and they're not going
41 to say no outright, necessarily. It's just never going
42 to happen. So, that is a change in dynamic. I'm not,
43 again, I'm not saying if that's maybe that is a good
44 thing, maybe it's not. But it definitely change -- in
45 my opinion, definitely changes the dynamics of -- and I
46 think what happens after a Board vote. As far as the
47 public seats, I do think it's important -- so, currently
48 there's three that are recommended by federally
49 recognized tribes, and the other three don't have that
50 tribal recommendation component. I do think it's

1 important to maintain public seats that are not
2 recommended by tribes, primarily because ANILCA is for
3 rural residents and there are rural residents who are
4 not affiliated with tribes, and I do think it's important
5 -- because they are part of ANILCA it's important for
6 them to have a pathway to if they wanted to be on Iraq
7 or wanted to be on the Federal Subsistence Board that
8 they could try to do that if they wanted. And I think
9 those were all the comments I had on that one.

10
11 Okay. Next bullet point is federal
12 regulations and state regulations for duplication and
13 inconsistency. This one I think the example when we got
14 the presentation was, is it helpful to have the federal
15 regulation -- to have like a complete set of federal
16 regulations that can be published in the book so, that
17 the handy dandy, or does it make sense if the basis is
18 state regulation and then federal regulations are just
19 kind of exceptions to that or changes from that. Does
20 it make sense to maintain kind of these two separate
21 systems where the Federal Subsistence Board regulations
22 are just, you know, bits and pieces that are overlaid
23 where they're different. My view is as a -- someone
24 trying to use regulations, it's very handy to have
25 everything in one place. I think it would be, I mean,
26 for me, even given my background, it is a pain in the
27 butt to try to go compare two completely different sets
28 of regulations and then try to figure out where the gaps
29 are, where they align, where they don't. And if I just
30 want to go hunting it, like, why do I even want to go
31 through that. So, for me as a user, I do think there's
32 value in having the federal regulations all in one place.
33 Even if they do -- they are identical. Some parts are
34 identical to the state regulations. So, that's my
35 thought. But additional thoughts and comments.

36
37 MS. HAYDEN: It's Madam Chair, this is
38 Natasha.

39
40 CHAIRPERSON SKINNER: Go ahead, Natasha.

41
42 MS. HAYDEN: I'm just going to ask you
43 to clarify. Are you saying that you would prefer that
44 the federal subsistence regulations continue to be
45 published the way that they are?

46
47 CHAIRPERSON SKINNER: Yeah. So, if the -
48 - like if what we're being asked to comment on is should
49 we do away with all of the duplicative federal
50 regulations and only keep the ones that are different

1 and then the state regulations would be the basis? I
2 don't agree with that because I think as a user of those
3 regulations, it's just harder to navigate in my opinion.
4 So, yeah, I think that what you characterized was
5 correct.

6
7 MS. HAYDEN: Okay. Thank you for that.
8 And then if, if you don't mind, Madam Chair, I'll go
9 ahead and make my comments on this.

10
11 CHAIRPERSON SKINNER: Yep. Go ahead.

12
13 MS. HAYDEN: So, Natasha Hayden, I agree
14 with you. I think that it is important for the federal
15 Assistance Regulations to be able to be published and
16 that they are available to eligible users in one place.
17 And, you know, there may not be many occasions or
18 instances where the federal subsistence regulations
19 differ from the states, but that may not always be the
20 case. And I think it's really important for the integrity
21 of the system for it to continue to be published by the
22 OSM. Thanks.

23
24 CHAIRPERSON SKINNER: Okay. Any further
25 comment? Coral, go ahead.

26
27 MS. CHERNOFF: Yes. I believe strongly
28 that federal regulations and rules should be definitely
29 separate from Alaska's state regulations and rules.
30 There are two different agencies. The upper under --
31 they operate under different ideals about the taking of
32 wild game and fish. The federal is very specific to
33 ANILCA and rural areas, they just have a lot of basic
34 structure that doesn't align and different means of
35 taking. And so, I think for clarity and just they should
36 remain separate.

37
38 CHAIRPERSON SKINNER: Okay. Further
39 comments. The -- I just wanted to address the
40 inconsistency. The word inconsistency is in here. I
41 think there should not be an inconsistency. Hopefully
42 it would be clear what set of regulations apply and if
43 federal applies, then it doesn't matter what state says.
44 If state applies, then it doesn't matter what federal
45 says. I realize that's not actually true, that sometimes
46 there is argument over who has jurisdiction, but any
47 inconsistencies if they truly are just kind of leftover
48 stuff that needs to be fixed, it should be fixed. If
49 inconsistencies are related to arguments over
50 jurisdiction, that's a whole different issue.

1
2 Okay. The next bullet is regulations
3 governing special actions. We did hear earlier about
4 the, you know WP26-01 that related to certain kinds of
5 special actions, the in-season management, special
6 actions. But I think -- I'm thinking that this particular
7 one relates to actual special actions, which are big
8 changes or things that arise due to special
9 circumstances. So, they're not things you see every
10 year. These really are special, unusual kinds of
11 actions. In our region, we haven't had any of those
12 types of actions in over 20 years. But, if people have
13 thoughts on this particular point, this would be the
14 time to share those.

15
16 MS. HAYDEN: Madam Chair, this is
17 Natasha.

18
19 CHAIRPERSON SKINNER: Go ahead, Natasha.

20
21 MS. HAYDEN: I just have a clarifying
22 question. I'm not sure if anybody in the room might be
23 able to answer this. Would the action taken by, I think
24 it was the organized village of Kake when they issued
25 an emergency moose permits during Covid. Is that an
26 example of a special action that this would be referring
27 to?

28
29 CHAIRPERSON SKINNER: That's probably
30 the exact example of what this is referring to, yes.

31
32 MS. HAYDEN: Okay. Great, I am -- great.
33 Thank you. I am in support of the Federal Subsistence
34 Board continuing to have the authority to issue special
35 actions. I think that the -- what has transpired in the
36 last few years is a demonstration of why it's necessary
37 and really, the system, you know, at work. And it worked
38 for the communities for the -- that community in
39 particular and I believe there's also the special action
40 for salmon fishing on the Kuskokwim. And I think that,
41 you know, the need for these special actions is probably
42 not going to diminish in the near future. I think it's
43 probably going to just become more important as time
44 goes by with such dramatic changes in the climate and
45 with the availability of resources. So, yeah, I think
46 that it is necessary and am supportive of that continuing
47 to be available to the Federal Subsistence Board.
48 Thanks.

49
50

1 CHAIRPERSON SKINNER: Thanks. Not seeing
2 any other hands. I am supportive of maintaining the
3 ability of the Board to do special actions. My one
4 comment would be, especially with things that are
5 different, like special actions. It's important to have
6 a clear process and structure and to follow that process
7 and structure. So, if special actions have a certain
8 time limit, they can't exceed 60 days. So, in my mind
9 that means it's 60 days and then after 60 days you're
10 back in status quo. And if you want to do something else
11 or change the permanent regulation, you should go
12 through that process. If something other than that is
13 happening, I think that's destined to lead to conflict
14 and frustration and potentially lack of transparency.
15 So, I think it's important to have this mechanism, but
16 I also think it's important that everybody understand
17 what the rules are, how the rules work, and that the
18 rules are actually carried out the way they're written.
19 And if they don't make sense as written, then they need
20 to be changed so that they do make sense. But, other
21 than that, I don't have specific suggestions of any
22 changes.

23
24 Okay, the next bullet point is the role
25 of the state and the Alaska Department of Fish and Game
26 in the Federal Subsistence Management Program. For -- I
27 think this -- you could read this a lot of different
28 ways. My first thought was in our region, we are very
29 dependent and appreciative of the Fish and Game
30 biologists, because they're the ones a lot of times who
31 are providing the data on the stocks, fish stocks or
32 wildlife stocks, whatever it is. And without them, we
33 wouldn't have enough data a lot of times to make good
34 management recommendations. So, I think that that's
35 imperative to maintain or, you know, even increase the
36 participation and strength of that relationship. If
37 we're talking about at a higher level. So, if like, if
38 this is an argument about who's controlling the decision
39 making, I feel like under ANILCA there's a real
40 preference. The state literally cannot do that and
41 that's why we have federal management. So, I have a hard
42 time understanding how would you increase the role of
43 the state in that, because the state literally cannot
44 do what ANILCA calls for. But absolutely the -- even in
45 our area, which is not as checkerboarded as other areas,
46 it does require both state and federal resources given
47 the way the system is to understand what's happening
48 with the resources and manage them well. So, I mean, you
49 can't exclude one party or the other. But it is a Federal
50 Subsistence Management Program and so, it makes sense

1 to me that the federal side would be controlling in the
2 system, but those are those are my thoughts. Are there
3 other comments or observations? Daniel, go ahead.

4
5 MR. SMITH: Yeah. Thank you, Madam Chair.
6 This is Daniel Smith. You know, I believe the role of
7 the State Fish and Game, they provide pretty great
8 technical expertise especially in relevant proposals. I
9 think, just making them a little bit more engaged in
10 that process. With the reviews and being present like
11 you were mentioning, Rebecca is something that I think
12 they could do better at, maybe.

13
14 CHAIRPERSON SKINNER: Go ahead, Brett.

15
16 MR. RICHARDSON: Thank you. I agree with
17 both of your comments. I think it's crucial that we all
18 work together for the technical aspect of it, without
19 which we wouldn't have as much necessary information.
20 That said, at a higher level, the politics comes into
21 it. I mean, isn't there a case going to the Supreme
22 Court right now? State trying to, what, undo ANILCA? I
23 don't know how that's going to work out, but the constant
24 battle seems to be present to preserve the rights of
25 federally qualified users. And I think that's a very
26 important, you know, vigilance in that regard and while
27 still maintaining good relationships across the board,
28 and I hope that's possible. Thanks.

29
30 CHAIRPERSON SKINNER: Go ahead, Jeff.

31
32 MR. RICHARDSON: Thank you. Jeff Wasley.
33 Yeah. It's the duplicity. You know, ultimately, a lot
34 of these resources are shared by different user groups.
35 And the state has a different mandate than ANILCA. And
36 I think ultimately, the more people involved, and the
37 more other people can understand different points of
38 views. And I think especially for like migratory birds
39 that are shared by so many people within our country and
40 beyond that, I think the Fish and Game are kind of
41 lacking in the management of migratory birds in this
42 state and a lot of people are left without a voice.
43 Thank you.

44
45 CHAIRPERSON SKINNER: Coral.

46
47 MS. CHERNOFF: Yeah. I'll just echo, like
48 the -- I guess the data that the -- I think that's a
49 good, shared use, and a good role for the Alaska
50 Department of Fish and Game is to share that data with

1 the Federal Subsistence Management Program. I think
2 also, you know, you might be able to pull in, you know,
3 the idea of shared enforcement too and I guess the reason
4 for that is we all have there's so, many places where
5 there's state land next to federal land, and all of the
6 state and federal users use federal lands and state
7 lands. So, in that sense, we're all using the same
8 resources and so, it only makes sense to share that data
9 for sure. So, there would be -- yeah. And so, I just was
10 thinking the same idea of just moving that into the
11 enforcement area because I think about how, you know,
12 you could have troopers out here. But how could we make
13 it so they could enforce for federal, also? I mean,
14 they're all trained enforcement. So, that was my
15 comment.

16
17 CHAIRPERSON SKINNER: Yeah. And I'll just
18 comment that on the commercial fishing side, there's
19 definitely collaboration between the state troopers, the
20 NOAA Office of Law Enforcement and the Coast Guard. So,
21 in other arenas, enforcement does collaborate and kind
22 of share enforcement activities.

23
24 MS. HAYDEN: Madam Chair.

25
26 MR. HOLMES: Madam Chair.

27
28 CHAIRPERSON SKINNER: Yeah. We'll hear
29 Natasha and then Pat. Go ahead, Natasha.

30
31 MS. HAYDEN: I was just going to draw
32 attention to that Pat's got his hand up so, I could go
33 after him. Thank you.

34
35 CHAIRPERSON SKINNER: Okay. Go ahead,
36 Pat.

37
38 MR. HOLMES: Oh. Thank you, Natasha.
39 You're always a gracious lady. You know, I think the
40 points that were raised here are very good. And it all
41 -- because of resources overlap different state and
42 federal lands. And so, you need to have the respective
43 party who is in relation to that land responsibility.
44 And, you know, I've been both on the Fish and Game
45 Advisory Committee and also on the federal one and
46 generally sit in on the state meetings when they show
47 up in Kodiak. And I think basically people really do try
48 to give a fair distribution on subsistence use and you
49 know, really try to prioritize it as much as they can
50 within the restrictions that they have. And so, I don't

1 know that we're going to really accomplish change. I
2 think that at least in our communities, they really do
3 try to find a way to work it out. And sometimes and like
4 in the case of mountain goats, we're able to do things,
5 deer you know, and you know, there's no reason why we
6 can't get along, and it works. So, Thank you.

7

8 CHAIRPERSON SKINNER: Natasha, go ahead.

9

10 MS. HAYDEN: Thank you, Madam Chair.
11 Natasha Hayden. I just wanted to put a finer point on a
12 couple of things that were said already. The one about
13 the dual management systems that ANILCA has the rural
14 preference. The state of Alaska doesn't have a rural
15 preference because it is in violation of the state of
16 Alaska's Constitution. So, that is a real -- that's just
17 a real just a discrepancy or discontinuity between how
18 those two jurisdictions are able to manage the
19 resources. Another one is that the state of Alaska is
20 currently petitioning the Supreme Court to overturn the
21 -- I'm not sure the exact details, but I believe the
22 special action for sure is part of what is they're asking
23 to be overturned, which goes back, I think what, you
24 know, 30-40 years to the Katy John precedent. And so,
25 that is a real concern that the governing body in Alaska
26 is actively trying to undermine the rural preference
27 that ANILCA has a mandate for. And then the third point
28 is that the state of Alaska has got a mandate for maximum
29 sustained yield. Is that what it's called? Maximum
30 sustained yield in -- for all users of all of the natural
31 resources, which is a very different mandate than
32 providing for the subsistence needs of rural residents.
33 And so, they're not -- sometimes they can go along in
34 parallel. But, a lot of times, especially in times of
35 scarcity, they are at odds of each other. And so, I --
36 I'm just wanting to highlight some of these points
37 regarding how we communicate back on this question. And
38 then I -- the -- I guess the final thing would be about
39 the Alaska Department of Fish and Game's ability to
40 conduct good observational science data collection and
41 whatnot, and that that information is critical for all
42 resource management. And so, I would look forward to
43 continued cooperation between ADF&G and the Office of
44 Subsistence Management into the future regarding how the
45 information is collected and then is able to be used for
46 the benefit of the resource. So, thank you.

47

48 CHAIRPERSON SKINNER: Thanks. I had one
49 other comment related to this issue. I think it's
50 unfortunate that our communication and relationship with

1 Fish and Game at our more local levels in this process,
2 in my opinion, does get negatively impacted by what's
3 happening at these higher power struggle levels between
4 the federal and the state governments. I think a lot of
5 times, especially with Fish and Game staff who live in
6 our region and work directly with the resources, my
7 impression is they very much appreciate participating
8 and being able to share information and be part of the
9 discussion and at a like system-to-system level so, the
10 Office of Subsistence Management to Fish and Game, if
11 communications have to be funneled through a certain
12 channel, that relationship really gets lost or impaired.
13 And my encouragement would be, I don't know if this is,
14 you know, part of the bigger program review question or
15 if it's a -- could be addressed at a lower level. But,
16 I mean, I remember in the past we were able to reach
17 directly out to, you know, the Kodiak wildlife biologist
18 and say, hey, here's the meetings coming up, can we get
19 this, that and the other, hey, we want to talk about
20 this, that or the other and that's how it was. And it
21 doesn't work that way anymore. And I do think that that
22 stilted communication is having a negative impact and
23 that it would be nice if it could be addressed. And I
24 say that recognizing that there is this higher-level
25 power struggle between the federal and the state systems
26 and maybe we can't ever get back to where we were, but
27 I wish we could.

28
29 Okay so, the next bullet is Board
30 procedures for non-rural determinations. There is a --
31 an Board policy document that's on the OSM website. I
32 sent it around earlier this week, but it outlines the
33 factors that are considered in a non-rural
34 determination. In the past there were more specific
35 factors that maybe were in regulation, but population
36 was one. So, in the old days, population was a
37 determining factor for whether something was determined
38 to be rural or non-rural that was eliminated and instead,
39 the way I would characterize it is that the evaluation
40 became much more qualitative and flexible. So, there's
41 certain things that the Board and the RAC, because the
42 RAC does get to weigh in on these decisions. So, there
43 are certain criteria or factors that the RACs and the
44 Board consider, but I think we heard, or I heard that
45 these things are not in regulation. And I have heard
46 from, I think it was particularly the southeast RAC
47 because there was a recent decision to -- for that
48 Ketchikan was determined to be rural after many, many
49 years of being non-rural. What I heard was that the
50 southeast RAC was really frustrated that it didn't have

1 more concrete kind of characteristics to consider when
2 looking at that determination. So, that could be partly
3 what's leading to this is once it had to be -- once the
4 new system had to be applied, maybe people were pretty
5 either at sea or frustrated that there wasn't more
6 concrete black and white characteristics to look at. So,
7 are there any comments on Board procedures for non-rural
8 determinations? The other thing I'd say is it would be
9 nice, I mean, there's this kind of policy document, but
10 if those policies are meant to be procedures that it be
11 retitled procedures or, you know, just to make it clear
12 that this is the official thing that is used and that
13 there be consistent like that -- like consistent naming
14 or nomenclature for what it is. Are there any comments
15 on this particular bullet?

16
17 CHAIRPERSON SKINNER: Pat, go ahead.
18

19 MR. HOLMES: I don't particularly have
20 any comment on it. I haven't studied it in depth. I know
21 that we -- when we had the rural/non-rural before, I
22 testified for our Council on support of the, oh shucks,
23 what's the name of the village? It's, you know, just
24 outside of Ketchikan as being part of it and agreed with
25 the folks there that the city itself was quite urban but
26 I think there's a whole lot of folks there that are
27 really long term Alaskans and a lot of the Native folks
28 from the village now live in town and it's practically
29 one continuous community. But, as far as having any input
30 on making that a smoother process, I don't have anything
31 to say, Madam. Thank you.

32
33 CHAIRPERSON SKINNER: Thanks. Further
34 comments?

35
36 (No response)
37

38 Okay. So, that was the last bullet
39 point that we had. I have two other things and then if
40 other people have other things they want to bring up.
41 So, I don't have a good sentence for this, but I think
42 that the topic of subsistence priority, is -- while it
43 sounds clear, sometimes it's not clear what that means
44 or it's not clear what is required to achieve it or it's
45 not clear if it can be achieved, or different people
46 define it differently. And so, I think at a program
47 review level, if somebody can come up with a better way
48 in this process of characterizing this topic, I -- in
49 my opinion, this is one of -- this is a thing that is
50 creating a lot of conflict because particularly with

1 salmon, there isn't one management body that is -- that
2 completely manages salmon. Salmon goes from NOAA
3 fisheries management through state management, through
4 federal subsistence management, depending on where it
5 is, if it's out in the ocean or within three miles in
6 the ocean or in a river. And, in some areas, it's easy
7 to understand what a -- how a subsistence priority works,
8 in other areas, geographic areas or circumstances, it
9 is not clear at all. And my sense is that for, you know,
10 the end user, they're like, but there's a subsistence
11 priority fix this. The problem is they're -- not one
12 entity can fix it and not everybody has the same, you
13 know, subsistence priority or understanding of what that
14 is. So, I don't have a suggestion as to how to fix it.
15 I just see this as a kind of a pain point in the system.
16 The other one is my pain point over the last couple
17 years, are these annual reports that we do. So, they are
18 addressed in ANILCA. It says we do an annual report.
19 It's not a lot of direction on what that means, not a
20 lot of direction on what happens to those annual reports.
21 And I feel like that's leading to a lot of frustration
22 about how this works, what's required? What's required
23 at each stage? What should be done with these annual
24 reports? How are they beneficial to the system? I don't
25 know if in the beginning when ANILCA was first written,
26 I don't know what the idea was that would happen with
27 these annual reports but I feel like over time because
28 we have now these more robust regulatory cycles for fish
29 and for wildlife, a lot of the resource specific things
30 are addressed there, which means annual reports have
31 kind of become the place to talk about everything else,
32 that doesn't fall within the regular -- the topics that
33 fall under the regulatory process. So, that is also a
34 pain point, because if this is the catch all for
35 everything else, it's everything this Federal
36 Subsistence Board can't fix. So, in this program review,
37 it may be useful to look at -- to go back and revisit
38 what are these annual reports? What is done with them?
39 Are they useful? What are they for? How do they work?
40 What should be in them? And then what is the Board's
41 responsibility? Does the Board have to respond or is
42 that just something that they prefer to do as a kind of
43 as a courtesy and sign of respect that they're respondin?
44 But in reality, they can't do anything about most of the
45 stuff that's in these annual reports. So, those are my
46 two extra suggestions. Do other people have anything
47 else that they would like to note down?

48
49
50

MR. HOLMES: Madam Chair.

1 CHAIRPERSON SKINNER: Yeah, Pat, go
2 ahead.

3
4 MR. HOLMES: Just a footnote on the
5 earlier topics on rural/non-rural and whose regs apply
6 to which land, state or federal lands. I do believe, and
7 it's been a few years since I studied the land claim
8 settlements and the transfer of lands to the tribes and
9 native corporations. But I think with the exception of
10 one village in Southeast, all of that property that was
11 transferred to the corporations and tribes is considered
12 private property. And unfortunately, or fortunately,
13 depending on what your perspective is, falls underneath
14 the state regs. And so, that's another complicated and
15 the whole thing. And I think a lot of it comes down to
16 not necessarily what the governor's office is trying to
17 do, and all the court cases. That all depends on how
18 people in local communities get along and how they try
19 to solve problems. I found out yesterday at 1:00 in the
20 afternoon that the Game Division folks, Nate, had not
21 even received a notice of our meeting, and I called him
22 up, he was in the middle of another meeting. And so,
23 communications are vital at all levels and particularly
24 when we're having our sessions, we should assure that
25 the respective state folks can participate. And yes,
26 sometimes they do have to send the positions through
27 another level. But, if they had gotten notice three
28 months ago of the meeting, or even sooner, that allows
29 them to follow through whatever extended process they
30 have to have. But I think once you get out in the field
31 and that basically both the state and the fed biologists
32 really try to make it work for everybody. So, thank you.

33
34 CHAIRPERSON SKINNER: All right. Are
35 there any other -- Coral, go ahead.

36
37 MS. CHERNOFF: Yeah, I guess in this
38 review, I would really like for this priority to be dove
39 into. Like Rebecca said, what does that mean? How do we
40 get there? We very -- are, you know, it's like we're
41 always at the end of the line, commercial sport, it's
42 like, here's two fish, here's two fish, oh, there's not
43 enough for you. You know, we're up the rivers or like,
44 even trying to request bears in those proposals that we
45 did, and you see how much is accessed by other user
46 groups and we have to beg and beg for a little bit. That
47 just over the years gets frustrating. I know we've also
48 had times so -- the refuge managers having, you know,
49 having those in-season ability to shut things down. And
50 then now some of those things without consultation,

1 that's bothersome. I think we've taken a step back there.
2 Yeah. I think we have to figure out how we're last on
3 the list. But how do we uphold that we're supposed to
4 have priority? And many times, we're shut down at the
5 same time as sport so that doesn't give us priority.

6

7 CHAIRPERSON SKINNER: Jeff, go ahead.

8

9 MR. WASLEY: Thank you. Jeff Wasley. So,
10 on migratory birds, I just gonna to point out that
11 subsistence gets extra seasons in the spring and summer,
12 and they can also hunt during the fall season. And when
13 it comes to management decisions so take brant, for
14 example. Subsistence is already taking 90% of the take
15 and the sport hunt or fall or recreation or whatever you
16 want to call it is 10%. So, the population or index was
17 down, triggered a restrictive season. So, our hunters
18 here don't even get a season until October. But there
19 was no reduction in take on the spring season. So, I
20 don't think it's always you know, where subsistence are
21 getting the short end. I think with migratory birds, you
22 know, we are sharing these birds with a lot of people
23 outside of our country, definitely with outside of our
24 State and to them they don't recognize -- they're not
25 from Alaska and they shoot a bird, say in Mexico, and
26 they're going to eat it. They don't see any difference
27 between someone shooting a bird in Alaska and eating it.
28 So, I just want to point out with migratory birds that
29 subsistence you can still hunt during a sports season
30 just like anyone else. And they also get a spring and
31 summer season. So, thank you.

32

33 CHAIRPERSON SKINNER: All right. So, are
34 there any other points to add to this. And then because
35 we were talking about putting this into a letter, we're
36 going to need a motion to accept the -- these points as
37 being included in the letter. And I would literally
38 characterize them as, you know, considerations. They're
39 not necessarily like directive and this letter is in
40 response to what should be -- this is the scoping process
41 of what should be considered in the program review. There
42 -- if there is a program review, there will be another
43 opportunity to comment on specific things that are
44 identified as part of the program review. So, right now
45 we're really just advising on, hey, here's things that
46 maybe should be considered as part of the scoping
47 process. So, are there additional things to add to this
48 list?

49

50

1 MR. HOLMES: Well, Madam Chair, I know
2 if I might back up just a moment, and reflection of
3 Coral's comments. I don't happen to agree with all of
4 it. I think that in the case of Kodiak, they manage
5 Buskin sockeye that is never opened for commercial. It's
6 all subsistence. They do manage it locally for
7 subsistence. And also, another case in the past when the
8 Vancouver Canadian geese were introduced to Kodiak, it
9 was the state staff on the Migratory Bird Council that
10 was able to get that implemented. And it has made a
11 great difference to the folks down in Old Harbor. So,
12 it's a mixed bag all the way around and I can understand
13 how a person can have different perspectives. And so, I
14 don't know that you can definitely say that the state
15 is against subsistence. Some of those things just come
16 out of the governor's office and they never get anywhere.
17 So, one step at a time. Thank you, Madam Chair.

18
19 CHAIRPERSON SKINNER: Okay. And just to
20 double check, we didn't actually note anywhere that the
21 state is against subsistence, did we? Okay. I'm not, I
22 guess.....

23
24 (Simultaneous speech)

25
26 MR. HOLMES: Coral did.

27
28in the back of Ken -- Kendra's
29 head. No, I'm. I was looking at the comments. Never
30 mind. We'll just move on. Okay. If there's nothing else
31 to add to this, can I get a motion, I'll just call it a
32 motion to accept these as things to add into a letter.
33 The letter will be submitted into the public comment
34 process once it opens and it hasn't opened yet. Not a
35 motion.

36
37 (Simultaneous speech)

38
39 MS. HAYDEN: Madam Chair.

40
41 CHAIRPERSON SKINNER: Okay, Natasha and
42 then Pat. Go ahead, Natasha.

43
44 MS. HAYDEN: I apologize, I had meant to
45 include a statement about the timing of how we received
46 notification that this process was going to get started.
47 You know, basically, right on -- right, you know, the
48 eve of our meeting, our fall meeting and us not having
49 the opportunity to meet again together to even gather
50 any public input from our region on this scoping process.

1 So, I would like for that to be included about the timing
2 of how this process is getting started and relative to
3 when we're able to meet and have robust discussion about
4 it. Thank you.

5
6 CHAIRPERSON SKINNER: Thanks, Natasha.
7 Yeah. If that could be at the beginning in the opening
8 paragraph, when we say we appreciate the opportunity to
9 comment, but we'd like to note the unfortunate aspect
10 of the timing. But, also, considering that the RACs are
11 mentioned in ANILCA. So, we are integral to this entire
12 federal subsistence program. And, and so, it's even more
13 unfortunate that our schedule -- our annual schedule of
14 how and when we convene was not considered in regards
15 to the setting of this whole comment timeline for the
16 scoping. Because we're an integral part, it seems like
17 we should at least we should have been thought about in
18 the timing of it. So -- and I would just consider that
19 to be two sentences at the beginning. Okay. Pat, go
20 ahead.

21
22 MR. HOLMES: Madam Chair, Amen to
23 Natasha's comments and yours. And I wonder if I might
24 even ask the Board to consider trying to get an extension
25 on it so that we can get input from our communities. And
26 then that said, unless somebody else wants to go there,
27 I'd like to back up about five minutes on your request
28 for a motion to accept these points and allow our Chair
29 to summarize it in a draft letter. Thank you.

30
31 CHAIRPERSON SKINNER: Okay. Is that a
32 motion?

33
34 MR. HOLMES: Yes, ma'am. Yes, I can.

35
36 CHAIRPERSON SKINNER: Okay, great. Is
37 there a second?

38
39 MR. RICHARDSON: Second.

40
41 CHAIRPERSON SKINNER: Alright. Thank
42 you. We have a motion and a second. Is there any further
43 discussion on this item?

44
45 (No response)

46
47 I do have a question. So, Pat's
48 suggestion, he said we could get the Board to ask for
49 an extension. I think the concept of asking for an
50 extension is a good one. Is that -- that's obviously not

1 best accomplished through a letter that we're waiting
2 to send until after the comment period opens. Well, let's
3 resolve this motion, if we need to talk about an
4 additional letter or something to someone asking them
5 to talk about an extension, we can do that. So, is there
6 any further discussion on accepting these points as
7 being included in a comment letter from the KARAC.

8

9 (No response)

10

11 Okay. Is there any objection to the
12 motion?

13

14 (No response)

15

16 Okay. Seeing and hearing none. That
17 motion passes unanimously. Going to the issue of asking
18 for an extension or asking for a different timeline. Who
19 should that be? Like, is that a letter? And I don't even
20 know who I'm talking to. Is that a KARAC letter? Are we
21 asking the Board to send a letter? Katya.

22

23 MS. WESSELS: Yeah. Thank you, Madam
24 Chair. Katya Wessels. This review process has been
25 initiated by the Secretary of the Interior. But
26 according to the Board's correspondence policy for this
27 Council, the Council cannot send a letter directly to
28 the Secretary. So, you will have to send the letter to
29 the Board, asking the Board to forward it to the
30 Secretary and requesting that extension.

31

32 CHAIRPERSON SKINNER: Okay. Thank you.
33 So, my thought on this is that there's really no point
34 in even initiating that because I think by the time the
35 Board meets this -- the process will have been kicked
36 off already. So, I -- we can do that. I'm just letting
37 everyone know that I don't think that by the time our
38 letter gets written and sent to the Board and then the
39 Board has an opportunity to meet and vote and then
40 forward it, we're -- that we're probably already going
41 to be in the middle of the comment process. Coral, go
42 ahead.

43

44 MS. CHERNOFF: Yeah, I recommend sending
45 it just because it's just like being on the record and
46 that process has happened.

47

48 CHAIRPERSON SKINNER: Okay. Is that a
49 motion?

50

000116

1 MS. CHERNOFF: Yes.

2

3 CHAIRPERSON SKINNER: Okay. And the
4 motion is to ask the Federal Subsistence Board to
5 communicate to the secretaries that we would like an
6 extended timeline to respond? Okay.

7

8 MS. CHERNOFF: Yes.

9

10 CHAIRPERSON SKINNER: Is there a second?

11

12 MR. HOLMES: Second. Could we do that as
13 a separate letter as well, as the main letter? Because
14 that might have a chance of getting through the system
15 quicker.

16

17 CHAIRPERSON SKINNER: Yes. This is a
18 separate letter. This letter is directed to the Federal
19 Subsistence Board. The last letter that we approved is
20 a letter directed to whoever is identified when the
21 notice comes out for comment but the -- so, the first
22 letter is not going to the Board. This letter is going
23 to the Board. Katya, go ahead.

24

25 MS. WESSELS: Yeah. Thank you, Madam
26 Chair. And I just want to comment that, you know, this
27 letter can be produced really quickly on behalf of the
28 Council. We don't need to wait for transcript. Just can
29 be like one simple paragraph so we can send it pretty
30 quickly.

31

32 CHAIRPERSON SKINNER: Thank you. Is there
33 any additional comment?

34

35 (No comment)

36

37 Sorry, I made the bad decision of eating
38 a caramel in that moment. Okay. So, we have a motion on
39 the floor. I see no further discussion. Is there an
40 objection? Any objection to the motion, which is to send
41 a letter from KARAC to the Federal Subsistence Board
42 asking the Federal Subsistence Board to ask the
43 secretaries for either, you know, more time to respond
44 to the scoping process. Is there any objection?

45

46 (No response)

47

48 Okay. Seeing and hearing none. That
49 motion passes unanimously. And I think we'll go ahead
50 and take a break before we move on to our next topic. So,

000117

1 let's reconvene at 4:00.

2

3 (Off record)

4

5 (On record)

6

7 CHAIRPERSON SKINNER: Okay. We have all
8 the Council members back in their seats here. So, we
9 will go ahead and continue on with our meeting. So, on
10 the agenda, we are at future meeting dates, which is
11 under item 12, action items, and it's 12d. And I'll turn
12 it over to Leigh.

13

14 MS. HONIG: Yes. Thank you, Madam Chair.
15 So, for -- we'll start off with the winter 2026 meeting
16 dates and locations and that is available on page 183
17 in your meeting booklet. Let me go there real quick. And
18 so, this is -- we'll have to have a -- this is an action
19 item. So, the Council will have to vote on confirming
20 the date and location. And for the winter meeting, we
21 have it as March 4th and 5th in Kodiak.

22

23 CHAIRPERSON SKINNER: Okay. So, if March
24 4th and 5th still sounds good, I'd look for a motion to
25 confirm KARAC meeting dates for March 4th and 5th, 2026,
26 in Kodiak.

27

28 MR. HOLMES: So moved.

29

30 CHAIRPERSON SKINNER: Thanks, Pat.

31

32 MR. SMITH: I'll second that.

33

34 CHAIRPERSON SKINNER: Okay, thanks. All
35 right. Is there any further discussion on this item?

36

37 (No response)

38

39 Okay, that one is done. And I'm just
40 adding it to my calendar to make sure that I will be
41 there. Alright, go-ahead Leigh.

42

43 MS. HONIG: Thank you. That's very
44 important. Okay so, the next meeting date is going to
45 be the fall, 2026 and this is on page 184. And we have
46 it scheduled as October 1st and 2nd in Cold Bay and that
47 is a Thursday, Friday.

48

49 CHAIRPERSON SKINNER: Okay. Thanks,
50 Leigh. On this one, I did want to note a few things that

1 -- I just want to make sure that we've fully discussed
2 and thought about before approving these particular
3 dates. One is, as I think we all know, the farther you
4 get into the fall, the -- you run into more bad weather,
5 more inclement weather and chances that we won't be able
6 to make it to the Cold Bay destination, so bad weather.
7 The Thursday - Friday schedule, and I'm not sure if
8 there's a way around this, but this week, because the
9 way the flight schedules work, the planes come in,
10 Monday, Wednesday, Friday. So, we all had to come in on
11 Monday and then we're leaving Friday, even though we're
12 only meeting, Wednesday and Thursday. So, with the
13 Thursday - Friday flight meeting schedule, that may mean
14 we cannot leave or can't arrive for 1 or 2 days before
15 or after that. So, but honestly, we may or may not know
16 what that schedule is. And then probably the big one is
17 that October 1st is obviously the beginning of the new
18 federal fiscal year. And you know, I think over recent
19 years we've seen with -- problems with funding in new
20 fiscal years. And a lot of times, things that are
21 scheduled to start on October 1, can't start or federal
22 staff can't show up because the budgets have not actually
23 been approved. So, an option there is to try to get our
24 meeting in a little bit earlier in the month of September
25 so that we'll have better weather and then we can avoid
26 this you know start of the federal fiscal year problem.
27 That being said, I honestly, I can't remember why we
28 picked October 1 and 2. There may be very good reasons
29 for why we did that but I will open it up for either a
30 motion or if people want to make comments. Go ahead,
31 Jeff.

32
33 MR. WASLEY: I -- Any problem with, like,
34 the 17th and the 18th of September? Thank you.

35
36 CHAIRPERSON SKINNER: Thanks. Does
37 anyone have an inability to commit to a September 17th
38 and 18th? Okay. Go ahead, Brett.

39
40 MR. RICHARDSON: Well, I think maybe we
41 need a little bit more information on optimizing flights
42 in and out, because I left Sunday night for this, and I
43 wouldn't get back until Saturday. So, that's time away
44 from my family and obviously I'm taking vacation to do
45 this. So, it's substantial for me. I don't know, maybe
46 there isn't a better window to come. Like, is Wednesday
47 Thursday the best or is it Thursday, Friday?

48
49 CHAIRPERSON SKINNER: Yeah. Let me ask
50 Jeff, I know you just suggested the 17th and 18th. Does

1 it matter to you if it's the 16th and 17th, does that -
2 - so, Wednesday and Thursday instead of Thursday and
3 Friday? Does that make any difference? Go ahead Jeff.

4
5 MR. WASLEY: I'm going to be here
6 regardless. So, it does make a difference because Friday
7 is our change out day, so it'd be easier for me to skip
8 that. But that being said, if it's a deal breaker, I
9 mean, I'm going to be here regardless. So, thank you.

10
11 CHAIRPERSON SKINNER: Coral, go ahead.
12

13 MS. CHERNOFF: Yeah, I guess I was going
14 to recommend that we meet in Kodiak again in the spring
15 and the fall. Just -- it's easier. We have a lot more
16 flights. The date to me does not matter. Or if it's
17 preferable, I think there's more flights to Dutch
18 Harbor, I might make that recommendation. We found out
19 yesterday that I think is a hub of ours now, which I
20 don't think it was before. Is that what we decided? So,
21 maybe you can confirm that, and if it's a hub. I just
22 might suggest one of those other two places, because
23 there's a lot more places to stay and there's a lot more
24 flights getting in and out.

25
26 CHAIRPERSON SKINNER: Daniel, go ahead.
27

28 MR. SMITH: Yeah. Thank you, Madam Chair.
29 This is Daniel Smith. I would also, like to make the
30 recommendation that the fall 2026 meeting be in Dutch
31 Harbor on September 16th and September 17th.

32
33 MS. WESSELS: Madam Chair.
34

35 CHAIRPERSON SKINNER: Go ahead, Katya.
36

37 MS. WESSELS: I just want to say in terms
38 of airline schedule, I believe there is a flight here
39 on Saturday to Cold Bay. Is that correct, Jeff? Yeah.
40 Just for your consideration. And you know, if you move
41 the meeting to Kodiak or Dutch Harbor, just maybe find
42 out if or, you know, majority of the members of the
43 Council can travel there at that time.

44
45 CHAIRPERSON SKINNER: Okay. So, we have
46 three different location options. We've had a suggestion
47 for Cold Bay September 17th and 18th. Dutch Harbor
48 September 16th and 17th or Kodiak at any time in in
49 September. So, I don't mind some informal discussion
50 before we actually make a motion. I -- yeah, we're just

1 now at this point we're balancing who can fly where,
2 when, and I think where we can get the most people to
3 show up at one time. Go ahead, Jeff.

4

5 MR. WASLEY: If it's not in Cold Bay, I
6 won't be there. Thank you.

7

8 CHAIRPERSON SKINNER: Okay. I am
9 interested to hear or to have more discussion about this
10 idea of having it in Kodiak. So, I assume because our
11 winter meetings have tended to be in Kodiak, I think
12 because maybe it's easier. There's more people --
13 there's more members in Kodiak. So, if weather's a
14 holdup, there's more members. I do realize that means
15 people from the chain and the peninsula have had to fly
16 in. It doesn't mean we have to meet in Kodiak. That's
17 just how we have been doing it. So, if we hold a fall
18 meeting in Kodiak, that means we're going to have three
19 meetings in a row in Kodiak. And so, I would like to
20 have some discussion on that. Does that seem like that's
21 okay? Does that seem concerning or are people
22 comfortable trying a winter meeting not in the Kodiak
23 area? Go ahead, Coral.

24

25 MS. CHERNOFF: Oh, yeah, that's fine with
26 me. I'm not concerned where we are during our winter
27 meeting, and I do want to say I'm very open to Dutch
28 Harbor, too. I think for me, it has been a very long
29 haul to get here and take a lot of time. As Brett has
30 suggested, people have jobs, and a lack of flights is -
31 - it's a task for people. And I would like to lend my
32 support to that being less of a task for people.

33

34 CHAIRPERSON SKINNER: Okay. Yeah. And I
35 just want to make sure that I am cognizant that if it's
36 somewhere else, we're asking the people that live on the
37 chain in the peninsula to do that exact thing but come
38 to Kodiak because they're also stuck with the flight
39 schedule getting out of their home communities. Okay.
40 Well, let's try this. Is there any other just general
41 discussion and then I think we'll just try a motion and
42 see if we can get consensus around a location and a
43 date. Go ahead, Jeff.

44

45 MR. WASLEY: If it's not here so, then
46 Sam and I both won't be there. So, the sport and
47 commercial side will be down to one member. Thank you.

48

49 MR. HOLMES: Madam Chair.

50

1 CHAIRPERSON SKINNER: Go ahead, Pat.

2
3 MR. HOLMES: Our two colleagues are Jeff,
4 and I'm sorry, I forgot the other chap. I wonder, in
5 this whole thing, if they're there because of the
6 waterfowl season? I would be good, maybe if we could ask
7 the staff to just see over that two-week time period
8 what the options would be on planes. It would be lovely
9 to go out to Dutch Harbor, but if we ended up having to
10 spend 8 or 10 days to get there and back, you know, just
11 to see what the options are getting to places and back.
12 First of all, just availability of folks and then because
13 this is -- we'll have another chance to update it. So,
14 let's see what the travel options are as far as available
15 planes. Because if there's a flight on Saturday, it goes
16 in, maybe what we could do is go out on the 13th, meet
17 14th and 15th and leave on the 16th, and that would
18 tighten it up and get us home by Thursday. So, anyway,
19 that's just my thoughts. I'll go with the flow.

20
21 CHAIRPERSON SKINNER: Thanks, Pat. Go
22 ahead, Brett.

23
24 MR. RICHARDSON: Hi. Just throwing this
25 out there. I don't know that we should have meetings in
26 any one place, kind of back-to-back to back. I think
27 it's good to kind of rotate the hub communities, whatever
28 those would be. If I'm not mistaken, it's Kodiak,
29 Unalaska and Cold Bay. Okay. So, I think, yeah, Kodiak
30 makes sense in the winter. You don't really want to try
31 to get into Dutch Harbor in March. Maybe Cold Bay too,
32 right. So, maybe Unalaska, it does make sense in the
33 fall, because we came here this fall. We're going to
34 rotate through those throughout the year. I don't want
35 to set something up where it's the next ten years are
36 set in stone, but it makes sense that way, aybe.

37
38 CHAIRPERSON SKINNER: Yeah, I agree with
39 that. I feel really uncomfortable with having three
40 meetings in a row in Kodiak. I think what I'm sitting
41 here struggling with is, it does feel like we should go
42 to Unalaska, but if we go to Unalaska, we definitely
43 will not have, it sounds like Jeff and Sam in person.
44 Jeff, are you -- can you participate virtually,
45 telephonically? Okay, so, I -- anyway, that's what I'm
46 struggling with. There's obviously not a super simple,
47 easy solution here. We're going to have to pick and
48 somebody's going to have to -- go ahead, Coral.

49
50

000122

1 MS. CHERNOFF: I'd like to make a motion
2 to have that meeting, September 16th 17th in Cold Bay
3 for fall 2026.

4
5 CHAIRPERSON SKINNER: Is there a second?
6

7 MR. WASLEY: I'll second.
8

9 CHAIRPERSON SKINNER: Okay we have a
10 motion and a second. This is to hold our meeting
11 September 16th and 17th, which is Wednesday and Thursday
12 in Cold Bay, in 2026. Oh, sorry. Not Cold Bay, Unalaska.
13 You said Cold Bay. Okay, now we need. Can we -- can you
14 please restate the motion?
15

16 MS. WESSELS: She needs to withdraw the
17 motion with the agreement of the second.
18

19 MS. CHERNOFF: I withdraw my motion to
20 hold the meeting in Cold Bay 2026.
21

22 MS. WESSELS: Ask the second for an
23 agreement.
24

25 MR. WASLEY: I'll second that.
26

27 MS. WESSELS: No, no, you need to ask
28 your second, was Jeff, for an agreement that he agrees
29 to withdraw the motion.
30

31 MR. WASLEY: I agree, thank you.
32

33 CHAIRPERSON SKINNER: Do you want to try
34 that again or....? Okay.
35

36 MS. CHERNOFF: Thank you, Madam Chair.
37 This is Coral. I'd like to move that we have a fall 2026
38 regional advisory meeting in Dutch Harbor, September
39 15th September 16th, 2025.
40

41 CHAIRPERSON SKINNER: Okay, now, you
42 switched to the dates.....
43

44 (Simultaneous speech)
45

46 MS. CHERNOFF: 2026.
47

48 CHAIRPERSON SKINNER:Okay, so,
49 we're now at, oh, is there a second?
50

1 MR. RICHARDSON: Second.

2

3 CHAIRPERSON SKINNER: Okay. We have a
4 motion a second. The motion is to hold our fall 2026
5 meeting Tuesday and Wednesday, September 15th and 16th
6 in Unalaska. Is there discussion?

7

8 MR. HOLMES: Madam Chair.

9

10 CHAIRPERSON SKINNER: Go ahead, Pat.

11

12 MR. HOLMES: That seems pretty
13 reasonable. Seems pretty reasonable. Although, if that
14 doesn't seem to work out, we still want to go to Dutch
15 Harbor, the following week would also be good for me,
16 because then I can maybe make a trip to see the grandkids
17 earlier. So, I'd kind of go for that second week, but
18 the first week is fine and we'll make the best shot we
19 can. Thank you.

20

21 CHAIRPERSON SKINNER: Thanks, Pat.

22

23 MS. HAYDEN: Madam Chair, this Natasha.

24

25 CHAIRPERSON SKINNER: Go ahead, Natasha.

26

27 MS. HAYDEN: I'm supportive of having the
28 fall meeting of 2026 in Unalaska. Thank you.

29

30 CHAIRPERSON SKINNER: Thanks. Okay, I
31 don't see further discussion. I'll try it this way. Is
32 there any objection to the motion which is to hold our
33 fall 2026 RAC meeting in Unalaska on Tuesday, September
34 15th and Wednesday, September 16th.

35

36 MR. RICHARDSON: Just to point. Was it
37 Tuesday - Wednesday? Or was it Wednesday and Thursday?
38 I'm sorry.

39

40 CHAIRPERSON SKINNER: Coral said the 15th
41 and 16th, which is a Tuesday and a Wednesday. Okay, is
42 there any objection?

43

44 (No response)

45

46 Okay. I'm not seeing or hearing any
47 objection. That motion passes unanimously.

48

49 (Pause)

50

1 And I am just adding this as well to my
2 calendar so that I can plan around it. Okay, all right.
3 So, that takes care of our future meeting dates, agenda
4 item. We are now on to agenda item 13, which is the
5 Fisheries Resource Monitoring Program and partners for
6 fisheries monitoring program. And we have Dr. Jason
7 Roberts at the table.

8
9 DR. ROBERTS: Yes. Good afternoon, Madam
10 Chair, members of the Council. So, I'm going to provide
11 you with a brief update of the Fisheries Resource
12 Monitoring Program, and our process and where we're at
13 in that process right now. And so, in the course of
14 providing this update, I'm going to pause and hope to
15 get some comments from your Council on the proposals
16 that have been submitted for the FRMP program for the
17 2026 funding opportunity. As you know, the goal of the
18 monitoring program is to fund research on federal
19 subsistence fisheries and enhance management and work
20 with rural Alaskans to sustain these fisheries. So, the
21 monitoring program funding materials overview starts on
22 page 185 of your meeting books. So, this whole process
23 starts with Councils identifying information gaps and
24 developing priority information needs for their regions.
25 And some of you on your Council volunteered to work with
26 volunteers from the Bristol Bay Council last fall to
27 create a list of priority information needs for that
28 combined Southwest region. So, these priority
29 information needs are shown on page 194 of your meeting
30 books.

31
32 So, we took that list and requested
33 projects to address those priorities and we ended up
34 receiving five proposals for the Southwest region
35 submitted based on those priority information needs. And
36 those are listed initially in table 1 on page 195. So,
37 we've started going through that internal review process
38 now. The technical review Committee has met to assess
39 the projects. And some of the summaries you see on there
40 are the results of that technical review committee
41 process. The review criteria that we use examines
42 whether the project fulfils a strategic priority or
43 multiple priorities noted by the Regional Advisory
44 Council. If the project possesses strong scientific
45 merit, if the proposed investigators are qualified to
46 conduct the project and possess sufficient resources to
47 do so, and if the project promotes partnership and
48 capacity building with rural organizations as well as a
49 cost benefit analysis. And so, today I want to get some
50 feedback from the Council on these projects,

1 specifically looking at if you have any questions about
2 the projects, things about them that may not make sense
3 to you. Your just general thoughts about the proposed
4 projects that we have in there. And you don't really
5 need to rank these projects per se, but if there are any
6 that you would definitely like to see funded, that would
7 be helpful. So, that's the kind of feedback I'm -- we're
8 looking for here. And so, we will take that feedback
9 back to -- in OSM, as part of the whole very long review
10 process. And finally, the final selection of projects
11 will be determined by the Director of OSM based on the
12 technical review committee, their reviews, your
13 comments, interagency staff committee comments and
14 recommendations and projects are funded, you know, based
15 on that kind of holistic analysis and how much money we
16 actually end up getting. And so, at this time, if you
17 want to, I can provide a brief summary or give you all
18 a second just to read over those summaries that start
19 on page 196, I believe, of your -- 195, I mean of your
20 book, the five proposals.

21
22 CHAIRPERSON SKINNER: Does the Council
23 want to hear Jason, give a summary, or has everyone had
24 a chance to review the proposals and we can jump right
25 in? So, the option is hear a summary or jump right in.
26 I guess.....

27
28 (Simultaneous speech)

29
30 MR. HOLMES: Jump right.

31
32 CHAIRPERSON SKINNER: Oh, nope. We'll
33 jump right in. Does anyone really want to hear a summary
34 of each? Okay, we'll jump right in. Thanks. But you're
35 still going to talk, right?

36
37 DR. ROBERTS: Oh. I was not thinking that
38 was part of the jumping right in but yeah. So, if you
39 want to just start with project 26-400, that's the Buskin
40 River sockeye salmon escapement project, the weir
41 project. And that's -- executive summary starts on page
42 196 that was submitted by ADF&G. This is stock status
43 and trends proposal type. Just working on the weir to
44 collect an accurate idea of escapement. So, any thoughts
45 or questions you have on that one?

46
47
48 CHAIRPERSON SKINNER: I do have a high-
49 level question. Can you either remind me and you may not
50 know, like, about how much money there is in the pot to

1 split up. And if you don't know that, is it fair to say
2 that not all of these projects can be funded, so maybe
3 only two out of this list or any sort of sense of how -
4 - what you think or how that's worked in the past.

5
6 DR. ROBERTS: Through the Chair. We do
7 not yet know how much funding will be available, but I
8 think it's safe to assume that not all of these projects
9 will be capable of being funded.

10
11 CHAIRPERSON SKINNER: Thank you.

12
13 (Pause)

14
15 All right, so, now you're looking for
16 us to give you feedback on that first proposal? Feedback
17 or comments or questions? Daniel, go ahead.

18
19 MR. SMITH: Yeah. Thank you, Madam Chair.
20 This is Daniel Smith. I just want to say, for the record
21 that I have a potential conflict of interest in reviewing
22 these FRMP proposals as they played a significant role
23 in my position as the Sun'aq Tribe Biologist in project
24 number 26-403. And this is addressing priority
25 subsistence salmon concerns and the Buskin River
26 watershed to enhance ecological strength and food
27 security of Kodiak. And I personally would like to recuse
28 myself from these discussions on these proposals. Thank
29 you.

30
31 CHAIRPERSON SKINNER: Okay. Thank you,
32 Daniel. And it sounds like you're fine just sitting
33 there. Okay. Are there comments on the first -- comments,
34 observations? Jason did say if there were questions.
35 Looks like Pat has his hand up.

36
37 MR. HOLMES: Yes, Madam Chair. Question
38 for Dan. That project there, I mean, you know, I'm going
39 to go for the Buskin and the McLees's weir as priorities.
40 But your project here for the Buskin is that a multiple
41 layer thing? And is there some component of that that's
42 -- would be more important if it were to enhance your
43 potential of getting funded.

44
45 CHAIRPERSON SKINNER: Pat, Daniel has
46 recused himself, so he's not participating. He's not
47 available to speak to that.

48
49 MR. HOLMES: Okay. Because I was
50 wondering because I had heard through the gossip network

1 that they had a limnology work that they wanted to do.
2 But, if I can't ask that question, I guess I won't. And
3 so, I'd say I'd just stick with the Buskin River sockeye
4 assessment and with McLee's Lake, those are the two
5 priorities. And then I know that the folks in our chat
6 with Bristol Bay, they're -- they -- they'd like support
7 on the Chignik being part of their region. But, anyway,
8 I'll stick with 400 and 402 as my priorities. Thank you.
9

10 CHAIRPERSON SKINNER: Okay, thanks.
11 We're still going to go through each of these projects,
12 and if anyone has comments and whatnot. And also,
13 Daniel's not available to answer questions, but I'm
14 pretty sure we have someone from the Sun'aq Tribe that
15 is available when we get to that proposal. We are not
16 there yet. But they could be available too, to answer
17 questions. And if there's anybody else who participated
18 in preparing any of the other proposals, who's online,
19 you can let us know. And if people have questions for
20 you, I want to make sure that we're being fair across
21 all the proposals.
22

23 Okay so, we are still on the first
24 proposal which is the bus -- it's project number 26-400
25 Buskin River sockeye salmon stock assessment and
26 monitoring. I do have a comment that I want to make on
27 the record, which is that in the technical review
28 committee comments, they note that partnering with local
29 tribes could further strengthen project delivery and
30 build tribal capacity. And I just -- I want to highlight
31 that. I take that as a recommendation that's coming out
32 of the review process, telling the applicant that, hey,
33 if you added this other component, your project would
34 be even more awesome and more likely to be funded. Also,
35 I do think that partnering between different entities
36 is -- we have to do that. I think it's most effective
37 and we can leverage resources within our region. So, I
38 just want to highlight that I place a lot of weight on
39 that. And so, if this -- even if this gets funded next
40 year or this year, if it comes through again, I would
41 highly, highly encourage the applicant to really
42 consider partnering with local tribes on their proposal,
43 their next proposal. And then the other comment I'll
44 make at a high level, you know, I see that the weir
45 projects and monitoring projects are -- they do tend to
46 be pretty expensive so I just, I want to note that the
47 more expensive projects you do, the less projects we're
48 going to -- are going to get funded overall, probably.
49 So, it's a tradeoff and -- but I do think weir as a
50 monitoring are important. And generally, that's probably

1 what I'm going to tend toward supporting. And this
2 particular -- the total project request for this
3 project, I think, falls kind of in the middle of the
4 range of funding being requested. So, it is kind of
5 expensive but it's definitely not the most expensive.
6 And then for Kodiak, obviously, I've said this before,
7 the Buskin River is one of our primary sources of federal
8 subsistence salmon. So, this is an important fishery and
9 having the weirs and the ability to track escapement is
10 really important for being able to manage the fishery
11 and also, open it as liberally as possible. Because when
12 there isn't data, you have to manage more
13 conservatively, which means it's less likely to open or
14 it's more likely to close because you just don't have
15 as fine a level of detail. So, in general I will note
16 that this -- what this project is funding and this
17 particular fishery is very important for Kodiak. And
18 I'll keep talking. Go ahead, Coral.

19
20 MS. CHERNOFF: Yeah, I have a question.
21 I don't know if you can answer this for me, but this
22 particular project, as opposed to the other ones has
23 vastly different amounts during the years. And seeing
24 that it's a weir project tracking salmon escapement, I
25 don't know if you can -- you have any idea why one year
26 they have 270 -- 207,600 for one year and then 67,000
27 for another year, and 142,000, like each of their years,
28 seems vastly different than others.

29
30 DR. ROBERTS: Through the Chair. I can't
31 remember off the top of my head exactly, you know, the
32 breakdown of that -- those costs. But I would imagine
33 it's related to different levels of staffing. In those
34 years, the costs associated with setting things up and
35 getting things going versus things have started and
36 maybe they're not requiring as much staffing to keep it
37 going. But, yeah, it's only speculation.

38
39 CHAIRPERSON SKINNER: And you have a
40 phone a friend on the line, Jarred, is available to give
41 maybe a more specific answer.

42
43 DR. ROBERTS: Yes.

44
45 (Simultaneous speech)

46
47 MR. STONE: Thank you, Madam Chair. Thank
48 you. Can you hear me?

49
50

1 CHAIRPERSON SKINNER: Yes, you're coming
2 in. Go ahead.

3
4 MR. STONE: Perfect. For the record,
5 Jarred Stone, Fish Biologist with OSM, to speak to that
6 discrepancy for the different costs through the years.
7 It's a minor discrepancy and it's just, it has to do
8 with how the state is requesting the money to start at
9 their fiscal year start. And so, it's -- I think part
10 of that, the way that it's laid out in their budget.
11 There's extra money needed for that first year because
12 they're requesting it in July. And so, I think they're
13 -- I'm just speculating, but I -- I'm guessing that
14 they're just trying to kind of catch themselves up
15 because they're having to back pay themselves prior to
16 that July 1st date. That's just speculation on my part.

17
18 CHAIRPERSON SKINNER: Thank you.

19
20 MR. STONE: I hope that makes sense.

21
22 CHAIRPERSON SKINNER: Yep. All right. Is
23 there any additional comments, feedback, anything that
24 we want to be considered as these proposals continue to
25 go through the review process? Coral, go ahead.

26
27 MS. CHERNOFF: Yeah. As Rebecca noted --
28 this is Coral thank you for the Chair -- through the
29 Chair. As Rebecca pointed out before, part of the
30 technical committee review said that partnering with
31 local tribes could further strengthen project delivery
32 and build tribal capacity. Is that something that's
33 already past them addressing, or is there still an
34 opportunity for them to address that tribal partnership?

35
36 DR. ROBERTS: Through the Chair, that's
37 a bit of a complicated answer. So, as far as for the
38 technical review committee and their scoring of the
39 project, it is past that point. But, you know, in the
40 course of doing the project, they could always, you know,
41 reach out and potentially develop some partnerships
42 during that time period. But I don't know how likely
43 that is.

44
45 CHAIRPERSON SKINNER: So, question but if
46 that were to happen, the technical review and like
47 scoring and evaluation has already occurred. So, even
48 if something happens in the near-term future, it doesn't
49 really change kind of how they're -- where they're at
50 right now.

000130

1

2

DR. ROBERTS: No.

3

4

CHAIRPERSON SKINNER: Okay. All right.

5

And then -- so, Jason, you've heard some feedback. Is

6

this kind of the nature of what you're looking for?

7

Okay. All right. Is there any further comment on the

8

first proposal -- the first project? Project 26-400

9

Buskin River Sockeye salmon stock assessment and

10

monitoring? Okay. Well, let's go ahead and.....

11

12

(Simultaneous speech)

13

14

MR. HOLMES: Madam Chair.

15

16

CHAIRPERSON SKINNER: Go ahead, Pat.

17

18

MR. HOLMES: I would note that the

19

project there at the Buskin has an outreach program and

20

a mentoring program for Kodiak High School students and

21

that something like 85 or 90% of those students that

22

have gone through that mentoring program have gone on

23

into professional positions with the Department of Fish

24

and Game and with Fish and Wildlife Service or other

25

entities. And it's a strong stimulus for those students

26

regardless of ethnicity, to have -- get a sound training

27

in biological sciences and so, that's a very integral

28

part of their program. They've been doing it for many,

29

many, many years and the -- even the regional sportfish

30

management biologists for our whole region, he -- that's

31

where he got his start, was working in high school as

32

part of their mentoring program for the Buskin weir. So,

33

it's a significant outreach over significant time period

34

and a real partnership there with the community.

35

36

CHAIRPERSON SKINNER: All right, so,

37

moving on to the next project. Project number 26-401.

38

This is Chignik River in season subsistence harvest

39

survey.

40

41

(Simultaneous speech)

42

43

DR. ROBERTS: Oh. Go ahead.

44

45

CHAIRPERSON SKINNER: Oh, no. Were you

46

going to -- because if you wanted to give a mini summary,

47

I don't think we would disagree. Go ahead.

48

49

DR. ROBERTS: Yes. So, project -- as the

50

Chair stated, this is Jason Roberts. Project 26-401. The

1 title is Chignik River In-Season Subsistence Harvest
2 Survey. This is a harvest monitoring project. Principal
3 investigator is a Fish and Wildlife Service employee
4 partnering with George Anderson from Chignik Inter-
5 Tribal Coalition. And so, the project focuses on the
6 need to gather reliable estimates of chinook salmon
7 escapement, demographics, along with evaluation of
8 escapement quality. This includes assessing egg
9 deposition, sex and size, composition of spawners and
10 spawning habitat quality and harvest monitoring. So,
11 yeah, the overall goal of the project is to obtain timely
12 subsistence harvest information for sockeye and chinook
13 salmon for federally qualified users fishing in the
14 Chignik area. And so, they intend to do this primarily
15 by collecting in-season federal subsistence harvest data
16 from users in the Chignik area and working with Chignik
17 Inter-Tribal coalition to expand future harvest
18 monitoring projects.

19
20 CHAIRPERSON SKINNER: All right, well,
21 I'll go ahead and jump in. For -- in general, I tend to
22 be more supportive of monitoring projects. So, things
23 like weirs or other projects that are trying to monitor
24 escapement or abundance of the resource because there
25 is a -- to me, there's a much more direct benefit to the
26 subsistence user from those kinds of projects. If we
27 don't have the weirs, it can literally preclude a fishery
28 altogether. So, in general, I do tend to prioritize the
29 monitoring projects. However, with this project, I do
30 like that for not a lot of money requested there's this
31 ability to gather data. There's the partnership between
32 the federal agency and the tribal organization and the
33 fact that both organizations are contributing toward the
34 project, I give that a lot of weight. I think that's
35 great. And then I think I already mentioned the expanding
36 the technical capacity of the Chignik Inter-Tribal
37 Coalition. I think that's an important aspect because
38 the more we build capacity in, within our region and
39 within our communities we're going to be -- we're just
40 positioning ourselves better for the future. So, does
41 anyone else have comments on this proposal? Coral, go
42 ahead.

43
44 MS. CHERNOFF: Yeah. One thing I really
45 like about this -- well, a couple things. I think harvest
46 -- we don't do actual, like, harvest data. We do like,
47 overall surveys and then extrapolate. This seems to be
48 more actual harvest. And I also like that this is --
49 this has been previously funded so, I always like
50 continuing, you know, things that are continuing. Same

000132

1 program data is collected in the same way. It happens
2 in the same way. So, it's easy. It's great to have data
3 that is continuous.

4

5 CHAIRPERSON SKINNER: All right. Are
6 there further comments on this project?

7

8 (No response)

9

10 Okay. We'll go ahead and move on to the
11 next project, which is project number 26-402 estimation
12 of sockeye salmon escapement into McLee's Lake,
13 Unalaska.

14

15 DR. ROBERTS: Yep. This project, I have
16 a feeling you're all familiar with. This is the weir
17 project at McLee's Lake. It's a stock status and trends
18 project, submitted by the Qawalangin Tribe of Unalaska.
19 It addresses two priority information needs, providing
20 reliable abundance estimates of McLee's Lake Sockeye
21 salmon and using scale analysis of fresh and saltwater
22 growth patterns to examine recent changes in the ocean
23 and how those affect growth and survival of sockeye
24 salmon into the McLee's Lake drainage.

25

26 CHAIRPERSON SKINNER: Thank you. Brett,
27 go ahead.

28

29 MR. RICHARDSON: Oh, this looks good.
30 It's good to see a four-year plan, hopefully put in
31 place. I guess a question would be at what point do you
32 begin to plan beyond this? Like, is it a two-year time
33 period before you begin the next four-year cycle? So,
34 we don't get another two-year drop off or no funding and
35 lack reliable data.

36

37 DR. ROBERTS: Through the Chair. Yeah.
38 So, the FRMP kind -- this proposal process repeats every
39 two years, and then projects can be funded for up to
40 four years.

41

42 CHAIRPERSON SKINNER: Okay. I'll add
43 some comments. I do like that there, there was a -- that
44 the tribe has been working in partnership on this and
45 now they're taking the lead. To me, that shows
46 progression. I feel like, oh, our system is working.
47 So, that's really exciting. I do have a question, Jason,
48 about the -- it is unclear from the proposal if the
49 tribe could successfully run the project, if they are
50 not also successful in their proposal to the Partners

000133

1 for Fisheries Monitoring Program. What's the timing on
2 that?

3
4 DR. ROBERTS: Through the Chair, I'm
5 going to ask my friend Jarred Stone to answer that
6 question.

7
8 MR. STONE: Thank you, Jason, for the
9 record, Jarred Stone here, Fish Biologist with OSM. The
10 timing between the two programs, the Partners Program
11 and the FRMP, is about the same. However, by the time
12 that we announced the FRMP awards sometime early this
13 winter, sometime in January, maybe February, we'll have
14 likely a pretty clear idea as to which partners we would
15 be funding for that same cycle. And so, the guidance
16 that we gave the Qawalangin Tribe is to submit their
17 partners proposal as if they -- as a standalone proposal,
18 so that if they did not get FRMP funding, the Partners
19 proposal would be strong enough to stand alone and vice
20 versa. They also submitted this FRMP proposal with
21 additional funding to support the biologist. And so, in
22 the event that if both the Partners and the FRMP funding
23 were to be funded, then they would revise their budgets,
24 and the overall cost of both of those projects would be
25 reduced and so, I hope that makes sense. But it was just
26 an attempt to try and preserve and protect that position
27 and make sure they have salary money to uphold that
28 position. And it was just a strategy that we offered to
29 combat the instance if only one were to be funded. I
30 hope that makes sense.

31
32 CHAIRPERSON SKINNER: Yeah. It actually
33 raised another question. So, what I thought I heard you
34 just say is that they were advised to develop each
35 proposal to stand independently. So, if the other one
36 didn't get funded, they could still carry out the
37 proposed work. So, that makes me even more concerned
38 about the sentence that says, it is unclear from the
39 proposal package, that they could successfully run this
40 project if they don't get funding under Partners. So,
41 if their proposal, their FRMP proposal was an attempt
42 to have a standalone project, and it wasn't strong enough
43 to convince the Technical Review Committee that they
44 could successfully deliver the project. That concerns
45 me. If you have anything else to add, or if I missed or
46 misunderstood what you said, Jarred, feel free to jump
47 in.

48
49 MR. STONE: I've got nothing else to add.
50 But I'll just -- well, I guess one last thing I'll add

1 is that their FRMP proposal as it sits right now, and
2 from how the TRC has reviewed it, it's a complete
3 proposal. And so, if it was to be funded, the budget
4 that they've supplied appears to have everything
5 necessary for them to complete the work without the
6 necessary -- without the Partners' funding.

7
8 CHAIRPERSON SKINNER: Okay, thanks. And,
9 Pat, I know your hand is up, but I guess I'll just
10 confirm then that I -- my comment is I am concerned with
11 the technical review feedback, that there is concern
12 that they're able -- they would be able to deliver this
13 this project, since they wrote this to be a standalone
14 proposal. Pat, we'll go with you.

15
16 MR. HOLMES: Yes, ma'am. I would think
17 that what they have it would be a standalone program.
18 But if it were not funded in the -- in that program, you
19 know, if it's funded under the -- if it's not funded in
20 the Partners, then the FRMP could cover it. And if that
21 were to occur, then they could still keep their program
22 going, have all their interactions. And perhaps those
23 funds would be available to strengthen the proposal for
24 the Buskin and the Sun'aq Tribe. And so, I don't know
25 how we can say a, what if, phrase in support of these
26 because they're both really, really, really important.
27 And I think McLee's obviously would have a very high
28 standing in either of the funding categories. And I think
29 some of the major components in the Buskin, particularly
30 the limnology work in the lake, that's also really darned
31 important. But I don't know. I guess I'll be quiet at
32 that point.

33
34 CHAIRPERSON SKINNER: Is there further
35 comment? Okay. I guess my final comment is just a
36 recognition that the ability to estimate sockeye salmon
37 escapement into McLee's Lake, noting how important that
38 is, our RAC has talked about how important it is for
39 Unalaska. So, I'm just noting that for the record. Okay.
40 The next project is project number 26-403, which is
41 addressing priority subsistence salmon concerns in the
42 Buskin watershed to enhance ecological strength and food
43 security of Kodiak.

44
45 DR. ROBERTS: Yes, Madam Chair. Jason
46 Roberts. So, this is a stock status and trends and
47 traditional ecological knowledge project. And you'll see
48 there it is a partnership between the Sun'aq Tribe and
49 ADF&G. So, kind of combining methods here both
50 biological science methods and then social scientific

1 methods. And if you'll look down there, on page 202, you
2 have the issue statement as well as the project is
3 responding to a number of priority information needs
4 articulated for the Southwest region. And so,
5 particularly looking at the impact of invasive signal
6 crayfish on wild salmon stocks.

7
8 CHAIRPERSON SKINNER: Thanks. And I'll
9 note, we have Matt Van Daele from the Sun'aq tribe online
10 and he's prepared to answer questions about the project.
11 And I was waiting for Pat's hand to go up. I'm just
12 going to call on Pat. Pat, if you have.....

13
14 MR. HOLMES: I beg your pardon, Madam. I
15 was -- well, I think that these projects really have a
16 lot of merit. The -- I don't quite understand, the
17 abundance of salmon. Does that mean that they would be
18 running the weir, or the Fish and Game is going to be
19 running the weir and then they'll be doing the ecological
20 evaluations based on the abundance, Mr. Van Daele?

21
22 CHAIRPERSON SKINNER: Okay, and let's
23 make sure that we have Matt Van Daele with audio.

24
25 MR. VAN DAELE: Good morning, Can you
26 hear me?

27
28 CHAIRPERSON SKINNER: You're coming
29 through. Thank you.

30
31 MR. VAN DAELE: Okay, I will be waiting
32 for you. Madam Chairperson, to call on me.

33
34 CHAIRPERSON SKINNER: Okay. Yeah. Feel
35 free, Pat has stated or partially stated one question.
36 So, as he asks a question, feel free to respond to it.

37
38 MR. VAN DAELE: Thank you. Yeah.....

39
40 (Simultaneous speech)

41
42 MR. VAN DAELE: Sorry, Pat. Go ahead.

43
44 MR. HOLMES: No. Go ahead.

45
46 MR. VAN DAELE: Yeah. Cama'i, Matt Van
47 Daele, Natural Resources Director for the Sun'aq Tribe
48 here. And no, the way that our proposal is written, we
49 would not be conducting the weir counts. We actually
50 formed this in collaboration with sport fish and comm

1 fish biologist and limnologist to attempt to be a
2 complementary project for their weir counts and
3 especially their scale assessment counts, to try to get
4 real world information, as they're doing those scale
5 counts of the limnological factors that might be playing
6 into salmon returns, recruitment, survival and
7 escapement.

8
9 CHAIRPERSON SKINNER: Pat, did you have
10 additional questions?

11
12 MR. HOLMES: Okay. So, basically the
13 department would still continue to be running the weir
14 and then what you'd be doing is supplemental evaluations
15 of things, particularly the ecological evaluation of the
16 lake rearing habitats. And you're going to do a small
17 program and then the rest of it would be related to
18 subsistence survey with Department of Subsistence. Is
19 that correct?

20
21 MR. VAN DAELE: That's partially correct.
22 I would like to go back real-quick to a comment that you
23 made about the proposal, 26-400 in the Buskin outreach
24 mentoring program that Fish and Game is proposing and
25 has proposed to make a plug for that, because I was also
26 one of the first crop of high school interns. And that's
27 definitely set me on the road that I'm on right now.
28 This is not specifically a smolt project. That is
29 something that we're hoping to start in the future,
30 potentially with a Partners Program. The main goal of
31 this project is to address several of the priority
32 information needs, namely the limnological factors that
33 are going on in the Buskin, because, you know, the Buskin
34 has been so important for the last 3500 to 4000 years.
35 It's had so much change in use and challenges really in
36 the last 80 years since the military showed up in Kodiak.
37 And with it being such a important subsistence sockeye
38 salmon fishery in our region, multiple biologists feel
39 that having these baseline limnological assessments is
40 critical and especially if we're going to have concerns
41 going into the future of, you know, run, closures, but
42 also potentially over escapement if our runs are doing
43 really well. And so, this would be a very effective
44 means to track those changes and have those [sic] data
45 for managers going forward but also serve as a litmus
46 about the successes of our continued crayfish
47 suppression. And then finally, Jackie Keating is
48 available to answer questions about the subsistence
49 survey, which is another one of your priority
50 information needs.

1
2 MR. HOLMES: Thank you.

3
4 CHAIRPERSON SKINNER: All right. Are
5 there -- I think what we'll try to do is if there's any
6 questions for Matt Van Daele or Jackie Keating, we'll
7 take those -- we'll try to take those now and then go
8 to any additional comments on the proposal. So, are there
9 any other questions?

10
11 (No response)

12
13 Okay. I'm not seeing any questions.
14 Yeah. Thank you, Matt, for joining us and Jackie as
15 well. All right. Are there any additional questions from
16 -- or not questions, comments from Council members or
17 feedback on this proposal?

18
19 (Simultaneous speech)

20
21 MR. HOLMES: Madam Chair, I guess.....

22
23 CHAIRPERSON SKINNER: Go ahead.

24
25 MR. HOLMES: Madam Chair, this is Pat. I
26 just think that this is a pretty fantastic project on
27 its own and certainly would blend and support the basic
28 stock assessment program. I hope that there be some way
29 that we could cover funding that as well as the Buskin
30 and as well as McLee's. Those are just, could accomplish
31 some tremendous things and I guess for Mr. Van Daele,
32 are you also, trying to get fishery monitoring funding?
33 I guess this whole thing is awkward with them if it's
34 both types of grants that you're going for.

35
36 MR. VAN DAELE: Through the Chair,
37 Councilman Holmes. We were under the understanding that
38 we would have to get an FRMP before we could pursue the
39 Partners Program. But as you noted earlier, this is
40 basically three different proposals that we melded into
41 one. And we felt it was important to try to lump three
42 proposals into one to illustrate the interconnectedness
43 of the Buskin. But, yeah, I mean, we, you know, we
44 completely understand the difficulties in funding these
45 days, especially being a tribe with -- dependent on
46 federal funding. So, you know, any sort of assistance
47 or even technical guidance and wisdom of the elders would
48 be very much appreciated about how we can make this,
49 this project a go, because we feel very strongly that
50 this is an important project and understand that there

1 are many other important projects out there. So, Guyana
2 for your time and consideration.

3
4 MR. HOLMES: Yeah, that's a fantastic
5 expression. I was wondering, our concepts that you're
6 going for, if you had to modify things or what objectives
7 you think are the most important, if they could be
8 blended into the funding of the weir assessment program?

9
10 MR. VAN DAELE: In terms of that. It's
11 very difficult to say, but for one, we've had incredible
12 success at suppressing the crayfish population and our
13 tribal biologist who recused himself, he's in the final
14 stages of his PhD looking at the ecological impacts of
15 crayfish. But the main -- I feel glaring data gap right
16 now with the Buskin, in our understanding of the Buskin
17 ecosystem is the basic limnology, that is very, very
18 critical aspect. The second is absolutely the change in
19 subsistence use for both the Buskin and also when times
20 that the Buskin runs are failing and increase
21 subsistence pressure on other systems in our region. And
22 particularly the difficulty that users have of having
23 to go farther afield to fill their freezers and get
24 their food. Finally, you know, I don't want to put
25 crayfish at the very end of it, but I kind of have to
26 because, you know, I understand that maybe that's
27 outside the purview of your Council, but if we had to
28 prioritize, from my perspective, it would be the
29 limnological assessments followed by the subsistence
30 surveys and if Jackie's online I would be happy to hear
31 her thoughts about that. And then finally, you know, any
32 sort of funds potentially left over for, you know,
33 continuing our successes with the crayfish because we
34 really do not want to lose our momentum with this because
35 it has been so difficult to get to this point, but we're
36 finally having a positive in demonstrable impact at
37 getting rid of them. Thank you.

38
39 MS. KEATING: Good afternoon. I am online
40 if you would like me to chime in, Madam Chair.

41
42 MR. HOLMES: That'd be great.

43
44 CHAIRPERSON SKINNER: Pat, do you have
45 any specific questions?

46
47 MR. HOLMES: I -- would just be really
48 interesting to hear Jackie's perspective on this.

49
50

1 MS. KEATING: Sure. For the record, this
2 is Jackie Keating with the Division of Subsistence,
3 Alaska Department of Fish and Game. And Matt did a really
4 good job summarizing the interconnectedness of this
5 proposal. I want to thank Sun'aq for inviting us to be
6 involved. Of course, when we look at the ecological
7 components of a system, the human factors are a big part
8 of that and I guess if I was going to point out one
9 thing, what I would say about the subsistence survey
10 component of this work is that, it is a direct result
11 of the recent 2021 comprehensive survey update that we
12 did also with FRMP finding -- funding, excuse me. And
13 one of the findings from that project was doing
14 ethnographic interviews with knowledge holders and
15 hearing about not just the effects of the Buskin being
16 closed in terms of the number of fish that folks could
17 harvest but really digging into some of those social
18 factors that come out of that as well. Things like if
19 folks don't have the ability to travel further to
20 participate in those activities, they might lose that
21 exposure. And what kind of effects does that have on
22 people learning how to fish in this way or adopting
23 those traditions? So, that's something we've talked
24 about a lot with Sun'aq, is how do we document that
25 additional component of effects when folks aren't able
26 to fish on the Buskin. So, the survey component would
27 be two pieces. It would be doing more of those
28 ethnographic interviews to help document some of that
29 local knowledge. And then the additional piece is a
30 survey component to help quantify, how do people adapt
31 when the Buskin is closed? What do those things look
32 like? And in a worst-case scenario, if folks not being
33 able to fish there, what are some of those adaptive
34 measures and how can we help manage those in a good way.

35
36 CHAIRPERSON SKINNER: All right. Are
37 there any.....

38
39 (Simultaneous speech)

40
41 MR. HOLMES: Thank you.

42
43 CHAIRPERSON SKINNER:other
44 questions? Go ahead, Coral.

45
46 MS. CHERNOFF: Yeah, I had a question.
47 Maybe for OSM. It says here a considerable portion of
48 the funding is for the suppression of invasive signal
49 crayfish, which might be outside the scope of the
50 monitoring program. Can someone explain what that means?

000140

1 Like it seems like it either is or isn't.

2

3 DR. ROBERTS: Jarred, do you have a
4 specific stance on that?

5

6 MR. STONE: Jarred Stone here, through
7 the Chair. I'm getting a little bit of feedback. I'm
8 wondering if maybe someone's mic is still on. I'm going
9 to try and -- okay. So, my understanding of that. Coral,
10 would you mind repeating that? Sorry.

11

12 MS. CHERNOFF: Yeah. I guess I was just
13 under.

14

15 CHAIRPERSON SKINNER: I can summarize,
16 since you're getting bad feedback there. I think she
17 wants to know, is the suppression of signal crayfish
18 inside or outside the scope of FRMP because.....

19

20 (Simultaneous speech)

21

22 MR. STONE: Thank you.

23

24 CHAIRPERSON SKINNER:it's not
25 completely clear. Thank you.

26

27 MR. STONE: Yeah, that makes sense. Okay,
28 so, during the, I guess, review of the proposal, the
29 connection between signal crayfish and the return of
30 adult salmon was sort of, for lack of better words,
31 poorly demonstrated or I guess the connection with
32 signal crayfish effect on the abundance of adult salmon
33 was maybe poorly demonstrated. And so, I think that's
34 where the discussion from the TRC came in. As to, you
35 know, what, if we spend this money on suppression of
36 signal crayfish and it has no effect possibly and just
37 hypothetically speaking, if it has no effect on salmon
38 abundance. And so, I think with that comment from the
39 TRC, they were speaking directly to, there just
40 currently being the lack of information, really, with
41 the connection, the tie between signal crayfish and
42 abundance of salmon. Does that answer your question?

43

44 CHAIRPERSON SKINNER: It looks like it
45 did. Thanks. Yeah, I guess I'll go with no, it didn't
46 answer it. So, in looking at the kinds of things that
47 FRMP can fund, there's the three broad categories the
48 harvest monitoring, the traditional ecological knowledge
49 and then stock status and trends. So, from those three
50 broad categories, it seems apparent that the crayfish

1 doesn't fit into any of those. But is there a is there
2 a question? So, could it fit, or the problem is they
3 just didn't do a good enough job explaining how it fit.
4 Or does it just not fit because it's not in one of those
5 broad categories?

6
7 MR. STONE: Oh, thank you for the
8 question. Through the Chair. You know, that's a great
9 question. We've never had a proposal like this that is
10 requesting to do like a suppression effort. You know, a
11 lot of our proposals are directly monitoring the
12 abundance of salmon or they're doing harvest subsistence
13 surveys. And so, this was a unique proposal in that we
14 just haven't seen one like this before. And so, I need
15 to likely get with some of our leadership and just
16 confirm that, yes or no, is this outside of the scope
17 of the FRMP, because I don't know that I can answer that
18 right here, right now for you.

19
20 CHAIRPERSON SKINNER: Okay. Yeah, I think
21 that would be helpful. All right. Are there further
22 comments on this project? Go ahead, Coral.

23
24 MS. CHERNOFF: Yeah. I guess I just would
25 like to say I would probably put this at the top of my
26 list, I think, for the information that it gives us and
27 what it does. And for the amount of money, I think it's
28 really important for our area.

29
30 CHAIRPERSON SKINNER: All right. And then
31 my -- this is Rebecca. I do want to comment that it is
32 awkward and unfortunate that we are in the same FRMP
33 category as Bristol Bay. So, that's number one. Number
34 two is if, I am not unaware that if both Buskin River
35 projects were funded and the McLee's project was funded.
36 I am not at all sure that either of the Bristol Bay
37 projects could be funded. So, you know we're here, I
38 view it, we're here to advocate for KARAC projects.
39 Bristol Bay is going to advocate for Bristol Bay
40 projects, but it is awkward because our region has three
41 specific -- our area has three specific subregions the
42 Aleutian Islands, the Peninsula and Kodiak and we're
43 sharing FRMP funding with Bristol Bay. So, it's hard to
44 achieve that balance within our own region, let alone
45 also, you know, making sure or considering that the
46 Bristol Bay should have a fair shot at their projects
47 being funded as well. Okay. Are there additional
48 comments on this project? And then I think we have one
49 more after this. Okay. Not seeing any additional
50 questions. The next project is 26-451.

1
2 MR. HOLMES: Madam Chair.

3
4 CHAIRPERSON SKINNER: Pat, go ahead.

5
6 MR. HOLMES: Hello? Yeah. I don't know.
7 And I would like to ask staff, would there be some way
8 where we could take a look at this last proposal with
9 Sun'ag and see what would be acceptable for them
10 preparing it down. Because it seemed to me that the
11 limnology work would be really important as well as the
12 first subsistence thing on how things have changed.
13 Those are important things to document, but I don't know,
14 I think, like you said, I'd go for the Buskin and McLee's
15 and then funding the whole thing if we could. Or if we
16 can't, then the parts of it that would have the most
17 biological significance with the tab on the end of the
18 subsistence. But I don't know if that can be separated
19 out at this point. I guess that's a question for staff.

20
21 CHAIRPERSON SKINNER: Do we have an
22 answer on whether that's possible at this stage of the
23 process?

24
25 DR. ROBERTS: So, I've just received some
26 more guidance here. Invasive species control is not
27 currently within the bounds of our FRMP program.

28
29 CHAIRPERSON SKINNER: Okay, but in
30 regards to what Pat just said that, can this project be
31 pared down into something smaller or parsed out into the
32 separate components? Is that possible at this stage in
33 the process?

34
35 DR. ROBERTS: I'm honestly not sure.

36
37 CHAIRPERSON SKINNER: Okay. Yeah. I mean,
38 my comment and observation is that this project has a
39 lot of different pieces. As someone who's reviewed
40 grants for almost three decades, I find that really
41 concerning. It seems like it's trying to do too much all
42 at once. I haven't read the whole proposal. I'm only
43 reading the summary of it. But I do think there's really
44 -- there's clearly parts of it that are a higher priority
45 than other parts. And I question whether it was a good
46 idea to try to combine, kind of, unrelated work into one
47 project. I did hear the explanation of why that was
48 done. I think where we are though and particularly given
49 our region and sharing with the Bristol Bay in the FRMP,
50 I think that that has -- that creates some challenges.

1 Okay. So, we do not have an answer about breaking the
2 project up. We did get an answer that invasive species
3 suppression is not part of the FRMP process. I guess I'm
4 assuming that that was taken into account at the
5 Technical Review Committee or -- we don't need to say
6 anything about else about that, because it's just going
7 to be sorted out as this goes through. Okay. All right.
8 Okay. Moving on to the last project. Project number 26-
9 451, understanding the importance of resource networks
10 in Alaska. Documenting subsistence fish sharing networks
11 in select Bristol Bay communities.

12
13 DR. ROBERTS: Yeah. So, through the Chair
14 this is a harvest and monitoring -- harvest monitoring
15 and traditional ecological knowledge project. So,
16 social-scientific methods are being used here. It's a
17 partnership between ADF&G and the Bristol Bay Native
18 Association. The project intends to examine subsistence
19 sharing networks in four Bristol Bay communities which
20 are dependent upon salmon and have high rates of sharing
21 or have previously exhibited high rates of sharing
22 subsistence resources. So, the project has four
23 objectives, producing reliable estimates of the harvest
24 and use of salmon and non-salmon fish in 2026 by
25 residents of four Bristol Bay communities. Recording the
26 geographic extent of search and harvest areas for salmon
27 and non-salmon fish in these four communities.
28 Quantitatively describing the characteristics of
29 exchange networks involving salmon and non-salmon fish.
30 And then documenting qualitative information about
31 exchange practices in these communities and how these
32 practices may be changing and why.

33
34 CHAIRPERSON SKINNER: Thank you. All
35 right. Are there comments on this proposal?

36
37 (No response)

38
39 Okay. I am not.....

40
41 MR. HOLMES: Madam Chair.

42
43 CHAIRPERSON SKINNER:hearing any.
44 Go ahead, Pat.

45
46 MR. HOLMES: I guess I feel like we had
47 mentioned earlier. All these programs are great. I think
48 that this one for Bristol Bay, it would be really
49 important to them as well as the Chignik one for the
50 Chignik folks as part of that other region. But I'm

1 afraid that I'd have to vote or give my expression for
2 the projects in our region first and it kind of breaks
3 my heart not to be able to have funding for all of them.
4 I wish Bill Gates was my uncle or something and have him
5 write a check. Thank you.

6

7

CHAIRPERSON SKINNER: Go ahead, Brett.

8

9

10 agree with Pat on that one. I think we would need to
11 prioritize the weirs in the Buskin and McLee's Lake areas
12 and, not sure what the full budget is, and then
13 prioritize the remaining projects after that. As
14 possible as can be by the, you know, if the project
15 qualifies, I guess so.

16

17

18 reminder, we're specifically not prioritizing these
19 projects. We're just giving feedback that Jason's going
20 to carry back into the ongoing review process for these.
21 And I do fully expect that Bristol Bay will give a lot
22 of feedback on their proposals and probably prioritize
23 those, even though that's not what we're doing. Okay.
24 Well, I'm not seeing any additional comment or feedback
25 on the last project so, I think that's it. Do you have
26 everything you need or is there anything else on this?

27

28

29

DR. ROBERTS: No, thank you, Madam Chair.
That's -- that was a good feedback.

30

31

32

33

34

CHAIRPERSON SKINNER: Okay. And then are
you also going to be -- are you doing the Partners
presentation?

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

DR. ROBERTS: Yes. That's correct, I
almost forgot. Okay. Jason Roberts again with OSM. Just
providing a more brief update on the Partners for
Fisheries Resource monitoring program. So, OSM posted a
notice of funding opportunity for the Partners for
Fisheries Monitoring last spring. This is a competitive
grant for Alaska Native and rural nonprofit
organizations. The intent of the program is to
strengthen Alaska Native and rural involvement in
federal subsistence management by providing salary funds
to organizations so they can hire biologists, social
scientists, or educators as examples. The grant also
provides funds for science and culture camps and paid
student internships. There are a total of eight
applications received from across the state during this
past call for funding, requesting new funding to begin

1 in 2026. This funding lasts for up to four years like
2 the FRMP program. The Partners Program Review Panel made
3 up of subject matter experts across various DOI agencies
4 have reviewed the proposals and we expect a funding
5 decision later this year and those details will be shared
6 at your winter Council meetings. The next fund -- notice
7 of funding opportunity for the Partners Program will be
8 made in the spring of 2027, for funding to start in
9 2028. And if you'd like more information about this
10 program, you can contact Jarred Stone or Liz Williams
11 via email or phone, which I can share with you. Their
12 contact information can also be found on the Partners'
13 web page at www.doi.gov/subsistence/partners. And then
14 of course anyone at the meeting I can give you more
15 information on that.

16
17 CHAIRPERSON SKINNER: Thank you. Okay, I
18 think we're done with this agenda item. All right. So,
19 we have a choice. We have a few agenda items left and
20 I'll read through those. I'm going to ask if people want
21 to take another ten-minute break before we do the last
22 few items or not. So, those items are the OSM general
23 update, the 805(c) report. I expect both of those will
24 be fairly brief. And then I do want to provide the
25 opportunity for closing comments. And that's what I'm
26 wondering, if having a break, just to get up, clear your
27 head and then think about any closing comments you want
28 to make. So, we can either do a 5- or 10-minute break,
29 or we can just keep going. Break? Okay. Sounds like
30 we're going to take a break. Let's take a break until
31 half past. So, that's six minutes.

32
33 (Off record)

34
35 (On record)

36
37 CHAIRPERSON SKINNER: Alright. If we can
38 have Council members head back to their seats, we'll go
39 ahead and get started again momentarily.

40
41 (Pause)

42
43 Okay. We've got all our Council members
44 up here now. We'll go ahead and continue on with our
45 meeting. We are on agenda item 14E, Office of Subsistence
46 Management, OSM general update.

47
48 MS. WESSELS: Thank you, Madam Chair. For
49 the record, Katya Wessels. So, it's a -- actually not a
50 very short update, but there's a lot of things have been

1 happening since we reported to you during the winter of
2 2025. But OSM continued to work on making sure that the
3 subsistence rural users, you know, have an opportunity
4 to engage in the regulatory process under Title VIII.
5 We also been in continuous contact with the leadership
6 -- new leadership at the Office of Policy, Management
7 and Budget, updating them on the program and the current
8 issues that are facing the regions and require attention
9 of the upper leadership. So, in February 7th, 2025, the
10 Board called for new proposals to change federal
11 wildlife regulations. So, the Board -- as a result of
12 that call, the Board received 78 wildlife proposals
13 across the whole state and OSM staff develop analysis
14 that you've been using here. So, additionally we had 17
15 wildlife closure reviews across the state, that
16 different Councils are -- reviewed or going to review.
17 And in July, the regulations that -- for the Federal
18 Subsistence Management Program that were previously
19 placed in 50 CFR part 100, they've been moved to a new
20 location, since we've been moved to the Office of the
21 Assistant Secretary for Policy, Management and Budget.
22 And now they reside in 43 CFR part 51. This is our main
23 regulations. But the regulations themselves, though they
24 were moved, did not change. So, that same day in July,
25 OSM published the final regulations for the fish and
26 shellfish -- take of fish and shellfish for the 25-27
27 regulatory years. And this rule also removed Ketchikan
28 from the list of non-rural areas. And updated
29 subsistence regulations on caribou in Units 11, 12 and
30 13, and corrected some errors from a recent final rule
31 regarding the take of wolf and wolverine in Unit 17.

32
33 The Federal Subsistence Board held their
34 summer work session on July 23rd-24th, and their Board
35 reviewed your annual reports and their draft replies.
36 And they also adopted wildlife proposal WP24-01 as
37 modified by OSM, to allow the sale of brown bear hides
38 harvested by federally qualified users, which was
39 supported by more than one Council. And the Board also
40 approved the implementation of regulation -- sorry. So,
41 implementation of this regulation will proceed once OSM
42 is able to get approved customary trade permit from the
43 Office of Management and Budget. And additionally, the
44 Board reviewed Council's recommendations on charter
45 changes and received briefings on recent Council
46 correspondence.

47
48 So, now I'm going to talk about Council
49 appointments. During 25 appointment cycle, the Board
50 received 50 applications from incumbents and new

1 applicants to fill 48 seats that are vacant or for which
2 the terms are expiring. Board also received 8 letters
3 of interest from young leaders that are interested in
4 non-voting position on the Council's. Your region
5 specifically, Kodiak Aleutians regions received 4
6 applications for vacant or expiring seats and 0
7 applications for non-voting leader seats. And here I'm
8 just going to request that the Council would help us
9 going forward. There's going to be the new application
10 period for regular seats and for non-voting young leader
11 seats. It will open on January 2nd and close on February
12 16th, 2026. So, we are requesting your help in soliciting
13 the applications and letters of interest for young
14 leader non-voting seat. Because it would be really great
15 if your Council has all the seats filled and also have
16 a person that you know from a younger generation learning
17 all the innuendos of serving on the Council about the
18 dual management and Federal Subsistence Management
19 Program specifically.

20
21 So, the next topic is the permit
22 database, permit app. So, in 2024, OSM initiated
23 modernization of the federal subsistence permit
24 application. Part of this modernization was to make
25 permits more readily available to users through an
26 option to obtain permits online. The new system maybe
27 will be able to release -- we might be able to release
28 it as soon as September 30th and users will be able to
29 request profiles and permits through the online portal.
30 September 30th is the target date. It's not for sure
31 because there are some various technical difficulties
32 and other, you know, things that interfere. Users will
33 not be required to use the online portal and still can
34 obtain permits by contacting local issuing office. A
35 link to the online permit portal will appear on the
36 program's website when it is available to use. And please
37 check with your local Federal Land Management Office if
38 you have questions about either using the new online
39 option or obtaining Federal Subsistence Board permits.
40 If you have more questions about the permit database,
41 Kendra might be able to answer some of them as she being
42 actively involved in the developing this online permit
43 application.

44
45 The next topic is OSM staffing update.
46 Roughly 30 to 35% of OSM positions are vacant and many
47 employees are doing double and triple duties to cover
48 these vacancies. And there's currently a government wide
49 hiring freeze that was set to end on July 15th but was
50 extended to October 15th, and we do not know if it will

1 be extended again or not. Several employees chose to
2 retire this year through the deferred retirement program
3 offered by federal government. This includes OSM
4 Fisheries Biologist Karen Hyer, who was a specialist in
5 the Northwest Arctic region for many years and was
6 heavily involved in the partners program. The other
7 person who retired was your Council Coordinator, Lisa
8 Hutchinson. She coordinated your Council and Northwest
9 Arctic Council. Another person who retired was Cultural
10 Anthropologist Pippa Kenner, who covered Bristol Bay and
11 Yukon-Kuskokwim Delta regions, and OSM permit specialist
12 Derek Hildreth, who was responsible for permitting
13 database, also retired. That was one of the delays that
14 delayed the developing of the online permit application.
15 You worked with some of these retired employees and I'm
16 sure you will miss them as much as we do. But we have a
17 little bit of good news here. So, we though -- although
18 there is a hiring freeze, we were able to secure some
19 lateral movements, you know, between other DOI agencies
20 and OSM. So, Karen McKee, she used to be our Subsistence
21 Outreach Coordinator. She left a few years ago, and now
22 she is coming back to the same position, Subsistence
23 Outreach Specialist Coordinator. Anna Senecal is coming
24 to OSM Fisheries division to fill one of the three vacant
25 positions in that division, and we are very happy to
26 have them both. We are very grateful that we're able to
27 get them laterally moved. And additionally, I -- my
28 official appointment as the Acting Deputy Director for
29 Operations was approved recently as well, though I've
30 been doing that work now probably for six months.

31
32 So, the next topic is strengthening
33 collaboration with the state of Alaska. The OSM Director
34 and Deputy Director have been conducting monthly in-
35 person meetings with the Alaska Department of Fish and
36 Game Deputy Commissioner and the Federal Subsistence
37 Board Liaison. These meetings are improving
38 communications and enhancing collaborative efforts
39 around data sharing and analysis reviews. In addition,
40 OSM and the Interagency Staff Committee held a workshop
41 earlier this year to identify opportunities for
42 strengthening the agency's relationship with the state,
43 which has produced several action-oriented results.
44 We're trying to improve these relations and moving
45 forward with them. A few upcoming meeting dates. So,
46 there was one set of tribal consultations before the
47 full Council meetings. There's going to be another set
48 of tribal consultations that will happen after the
49 Council meetings. On the same topic, the regulatory
50 proposals and closure reviews, and they're slated to be

1 held on November 12th and 13th. Then after that, there
2 will be another opportunity for the tribes and
3 corporations to consult with the Board, the day right
4 before the Board meeting and Council Chairs are welcomed
5 and encouraged to attend tribal consultations. And
6 please share the dates of November 12th and 13th with
7 the tribes in your region. It's on our website. We're
8 going to be sending invitations and agendas soon, but
9 it's just the wider we spread the word, the better
10 because we would like more comments for the benefit of
11 the Board.

12
13 Okay, and Federal Subsistence Board will
14 hold FRMP work session on February 4th and 5th to review
15 the Draft Fisheries Resource Monitoring Plan and to
16 accept oral comments and to make recommendations to the
17 selecting official and the selected official is OSM
18 director. So, and the Board will have wildlife
19 regulatory meeting, the dates were set for April 20th
20 through 24th, 2026, and they will consider wildlife
21 proposals and closure reviews.

22
23 Alright, and the last topic is the
24 litigation update and I'm going to read that verbatim
25 since that was provided by Solicitor. So, the first
26 litigation is United States versus Alaska 9th Circuit.
27 In 2022, the U.S. brought this action against the state
28 of Alaska to resolve a dispute over the regulation of
29 subsistence fishing on the Kuskokwim River within Yukon
30 Delta National Wildlife Refuge. In March 2024, the court
31 granted summary judgment to the U.S. and issued a
32 permanent injunction against the state. The state
33 appealed. On August 20th, 2025, a 9th Circuit panel ruled
34 in favor of the United States. The court upheld its
35 previous holdings, that ANILCA defines public lands to
36 include navigable waters, in which the United States
37 holds reserved water rights based on three previous 9th
38 Circuit Court decisions, commonly referred to as the
39 Katie John cases. The court rejected the State's
40 argument that the Katie John cases were clearly
41 irreconcilable with the Sturgeon v. Frost or known as
42 Sturgeon II, and second versus Environmental Protection
43 Agency. The state of Alaska has indicated it will
44 petition the Supreme Court to take up the case. So,
45 that's -- and as you know, that it went to the Supreme
46 Court as of late.

47
48 So, the State of Alaska Department of
49 Fish and Game v. Federal Subsistence Board. That's
50 another litigation. On June 2nd, 2025, a 9th Circuit

1 panel ruled in favor of the United States in this lawsuit
2 filed by the state of Alaska after the Board authorized
3 an emergency subsistence hunt in 2020 for moose and deer
4 on federal public lands in the vicinity of Kake, Alaska.
5 The court's basis for upholding the Board's decision was
6 twofold. First, the Alaska -- the ANILCA provides the
7 Board with authority to provide access to subsistence
8 resources on federal lands. And second, the Board has
9 the authority to authorize an emergency subsistence hunt
10 to ensure that rural residents of Alaska have a
11 reasonable opportunity to reach and use subsistence
12 resources found on federal lands in Alaska. The panel
13 also concluded that the State's claims that the Board
14 improperly delegated the administration of the Ketchikan
15 to a tribe, who are not proper -- not properly before
16 the court.

17
18 And in conclusion, I would like to thank
19 all of you for your service on this Council on behalf
20 of the Office of Subsistence Management. You serve here
21 on behalf of your communities and groups, and your
22 service is exceptional. You work overtime on this. You
23 take time away from your jobs, from your families, and
24 we really recognize your effort and your contribution
25 to the program. It's extremely important. So, thank you
26 for contributing your knowledge and experience and time
27 to the regulatory process. That concludes my
28 presentation, and I'll try to answer questions if there
29 is any.

30
31 CHAIRPERSON SKINNER: Thank you. Are
32 there any questions on the OSM update?

33
34 (No response)

35
36 Okay. I'm not seeing or hearing any
37 questions. Thank you for that very thorough review.
38 Okay. That takes us on to agenda Item 15, other business.
39 And there is no correspondence update. So, we're not
40 going to be doing Item B. But Item A is 805(c) report.
41 And I'll hand it over to Leigh.

42
43 MS. HONIG: Thank you, Madam Chair. Leigh
44 Honig. For the record, the 805C report can be found on
45 page 215 of your meeting booklet. It includes the 805(c)
46 letter report and the table of FSB actions. So, the
47 Council provided a total of five recommendations on
48 fisheries proposals and one recommendation on the
49 deferred wildlife proposal. The Board acted on five
50 proposals that were consistent with the Council's

1 recommendation. The Board differed from the Council's
2 recommendation on one proposal, which was WP24-01, which
3 sought to allow the sale of brown bear hides. So, the
4 Board decided to adopt deferred WP24-01 as modified by
5 OSM. As a reminder, the modification was that the hides
6 of brown bears, with or without claws attached, may be
7 purchased within the U.S. for personal use only, and may
8 not be sold resold. The hunter must request an OSM
9 customary trade permit. The modification also eliminated
10 regulation -- the regulation that required the skin of
11 the skull and claws of hides be retained at the time of
12 sealing in certain areas. The regulation cannot be
13 implemented, however, until the Office of Management and
14 Budget approves the creation of -- and use of the OSM
15 customary trade permit. And that is all I have for this
16 agenda item. Thank you.

17
18 CHAIRPERSON SKINNER: Alright, thank
19 you. Are there any questions on the 805(c) report?

20
21 (No response)

22
23 Okay. Seeing and hearing none. That
24 takes us to Item 16, closing comments. And I'm going to
25 start as usual over to my left with Daniel.

26
27 MR. SMITH: Yeah. Thank you, Madam Chair.
28 This is Daniel Smith. Yeah. I really enjoyed the meeting.
29 This is my second meeting. And just getting to know all
30 the Council members has been a very great experience.
31 And learning the system bit by bit. Also, appreciate all
32 the staff that worked on drafting the analysis of the
33 proposals. And I also appreciate Jeff and his crew taking
34 us out to Izembek and seeing just the most brant I've
35 ever seen in my life. Which was quite a spectacle to
36 see. And all the eelgrass, I think that was another
37 thing. If we had all that eelgrass in Kodiak, I can't
38 imagine how many geese we'd have. So, the -- yeah and
39 looking forward to being on this Council for the future
40 and yeah appreciate all the support. Thank you.

41
42 CHAIRPERSON SKINNER: Thanks, I just want
43 to comment that we went out in the boat, and we saw
44 walruses but Daniel's appreciative of seeing the
45 eelgrass that shows he's just dedicated to eelgrass.
46 Alright, Coral.

47
48 MS. CHERNOFF: Yeah, just thank everyone
49 for the meeting. Thank -- want to thank Jeff for his
50 hospitality, inviting us down, taking us out in the boat,

1 inviting us over to have a meal. And thank you, staff,
2 for all your work with the proposals, presenting us with
3 proposals, all the work we do -- you do, all the
4 questions you answer for us. We're really appreciative
5 of that. That's it. Thank you.

6

7 CHAIRPERSON SKINNER: Thanks. We'll go
8 next to Brett.

9

10 MR. RICHARDSON: Thank you. Yeah, I'd
11 like to show gratitude for being a part of the Board and
12 having an opportunity to come to Cold Bay. It's a really
13 remote place, very difficult to get to and it seems like
14 we've had a great little bit of weather here to get out
15 and explore everything. This is -- you know, you live
16 in one Aleutian Island or island and you think you've
17 seen them all, but you haven't. It's similar, but totally
18 different at the same time. And it's been great to see,
19 get out to different places, see all the wildlife, get
20 on the water. Talk about berries and birds and different
21 mammals and yeah, show appreciation to Jeff for guiding
22 us and inviting us over and being a good host, definitely
23 appreciate that. Staff has been awesome, as usual.
24 Without which we would be slightly maimed without all
25 this useful information and clarification, and to my
26 fellow Board Council members thanks for coming. It's
27 good to see everybody and have good in-depth
28 conversations and try to help subsistence users use,
29 look forward to next meeting. Thank you.

30

31 CHAIRPERSON SKINNER: Thanks. We'll go
32 next to Jeff.

33

34 MR. WASLEY: Thank you. Yeah, just I'd
35 like to thank Rebecca for her leadership, thank the staff
36 for all the work they do. Thank the refuge out here for
37 participating and taking care of the resource. I'm glad
38 folks got to see Cold Bay. I'm glad I got to show you a
39 little more. And it's, like, definitely a special place
40 for me. I plan on hanging around here as long as I can
41 keep going. And I really thank the members of the Board
42 and hearing your different perspectives, as we're all
43 very different. But we also all have a similar interest
44 in wildlife and fish and people utilizing it. And it's
45 really great to hear everyone's perspective. So, thank
46 you.

47

48 CHAIRPERSON SKINNER: Thank you, Jeff.
49 We'll go online to Natasha.

50

1 MS. HAYDEN: Thank you, Madam Chair. So,
2 I just would like to echo everybody else's comments other
3 than I apologize for not being able to be there in
4 person, and I do -- it sounds like I've missed out on
5 some pretty amazing experiences. So, hopefully next time
6 we have a meeting in Cold Bay, I'll be able to join us
7 in person. One other thing I'd like to add, since I'm
8 not there in person, is I really appreciate the tech
9 support. I think that using this Team's platform has
10 been very successful. I've been able to hear everybody
11 loud and clear, which has been really great considering
12 how remote Cold Bay is and Kodiak is. But, yeah, thank
13 you, Madam Chair, you've done a great job this meeting.
14 I think we've had some really great discussions, and I
15 feel really good about what we accomplished last couple
16 of days, so thank you.

17
18 CHAIRPERSON SKINNER: Thanks. We'll go
19 next to Pat.

20
21 MR. HOLMES: Thank you. I just can't say
22 how much I miss being out there with you folks. I really
23 appreciate your skills, Becky, to be able to do three,
24 four, five, six things at a time and still keep us moving
25 in the right direction. I think we had a lot of really
26 wonderful, good philosophical discussions and made some
27 good progress. I'd sure like to thank the whole OSM
28 staff, if that's still what you're called, for all your
29 hard work and background on that. And I'd like to
30 appreciate Leigh for all her ability and coordinating
31 things and helping this happen. And I'd like to say in
32 closing, that my normal geezer ramble, 1963 is my first
33 trip out there with Reeves, and one of the things that
34 I did and always did when I was out there, is to step
35 outside the building, face the wind, and take a really
36 deep breath with your eyes closed, and appreciate what
37 a unique place Cold Bay is, and how wonderful it's been
38 for folks for thousands of years. So, anyway, thank you
39 very much and for allowing me to still participate. Have
40 a good day. Bye.

41
42 CHAIRPERSON SKINNER: Thanks, Pat. I just
43 wanted to thank everyone who came out here in person. I
44 know it's quite a haul and with the flight schedules it
45 means you are staying a little bit of extra time here.
46 Particularly, thank you, Sara Taylor, for coming out
47 here. I know the -- now when did you arrive? So, the day
48 before yesterday. You were up at the North Slope meeting
49 and then you flew out here. So, appreciate the effort
50 you're making to show up in person and listen to our

1 words. And thank you to staff. Welcome to Leigh. Thank
2 you for all your work. And thanks to all the rest of the
3 OSM staff. And, Glenn, thank you for coming here and
4 catching silver salmon for us to eat. And Jeff, thank
5 you for hosting. You have set the bar high for host
6 communities or hosts who are in the communities. So, yes
7 and when I told Brett, when we go to Unalaska, we're
8 expecting some great things. Luckily, he's got a year
9 to prepare, so that's good. Other than that, I thought
10 that our work in our discussions, this meeting were good.
11 I think we got some good comments for the program review
12 process and had -- worked productively. I never expect
13 us all to agree. I do expect us to be able to have good
14 discussions. And I think that that happened. So, with
15 that do we need a motion to adjourn? All right. Can we
16 get a motion to adjourn?

17
18 MR. RICHARDSON: Move to adjourn.

19
20 MR. HOLMES: So, moved.

21
22 CHAIRPERSON SKINNER: Okay, we'll do move
23 by Brett. Seconded by Pat. Is there any objection?

24
25 (No response)

26
27 All right. Hearing and seeing none.
28 This meeting is adjourned.

29
30 (Off record)

31
32 (END OF PROCEEDINGS)

33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

C E R T I F I C A T E

I, Rafael Morel, for Lighthouse Integrated Services Corp, do hereby certify:

THAT the foregoing pages numbered 1 through 154 contain a full, true and correct Transcript of the KODIA/ALEUTIANS SUBSISTENCE REGIONAL ADVISORY COUNCIL MEETING, VOLUME I recorded on the 17th day of September;

THAT the transcript is a true and correct transcript requested to be transcribed and thereafter transcribed by under my direction and reduced to print to the best of our knowledge and ability;

THAT I am not an employee, attorney, or party interested in any way in this action.

DATED at Isabela, Puerto Rico this 19th day of November 2025.

Rafael Morel
Chief Project Manager